

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

DEFENSE NUCLEAR FACILITIES SAFETY BOARD  
PUBLIC HEARING ON LOS ALAMOS NATIONAL LABORATORY  
NATIONAL SECURITY MISSIONS AND  
NUCLEAR SAFETY POSTURE

TRANSCRIPT OF PROCEEDINGS  
November 16, 2022  
12:00 p.m. MST  
Santa Fe, New Mexico

REPORTED BY: Robin A. Brazil, RPR, NM CCR 154  
Bean & Associates, Inc.  
Professional Court Reporting Service  
201 Third Street, Northwest, Suite 1630  
Albuquerque, New Mexico 87102

(7343N) RAB

SANTA FE OFFICE  
119 East Marcy, Suite 110  
Santa Fe, NM 87501  
(505) 989-4949  
FAX (505) 843-9492



MAIN OFFICE  
201 Third NW, Suite 1630  
Albuquerque, NM 87102  
(505) 843-9494  
FAX (505) 843-9492  
1-800-669-9492  
e-mail: info@litsupport.com

1           CHAIRPERSON CONNERY: We're ready to get  
2 started, so good afternoon. My name is Joyce  
3 Connery. I am the chair of the Defense Nuclear  
4 Facility Safety Board. I will preside over today's  
5 hearing.

6           With me today are my colleagues on the  
7 board, Vice-Chair Thomas Summers and Board Member  
8 Jessie Roberson. We constitute the board. Having  
9 established a quorum of board members, this hearing  
10 will now come to order.

11           Mr. Eric Fox, the board's associate  
12 general counsel, will serve as executive secretary  
13 for the hearing. Mr. Christopher Roscetti, the  
14 board's technical director, will provide us with a  
15 staff perspective later on this afternoon. Several  
16 other members of our staff are closely involved with  
17 the oversight with the Department of Energy and Los  
18 Alamos National Laboratory in particular are also  
19 here.

20           Today's hearing was publicly announced on  
21 August 15, 2022, on the board's public website and  
22 subsequently noticed in the Federal Register on  
23 August 18th. This hearing is currently being  
24 broadcast live over the internet, and a transcript  
25 will be available on a website in the coming days.

1           We thank the members of the public for  
2           joining us for today in person and virtually. We  
3           note the presence today of some VIPs, so I'd like to  
4           recognize Anna Hansen, the county commissioner from  
5           District 2. Thank you for being here. And also  
6           Brenda Hawks, who is the assistant deputy secretary  
7           for field operations and oversight and the chief  
8           nuclear safety officer for OEM.

9           Our first goal of today is to gather  
10          information on the status of activities performed by  
11          the Department of Energy's Office of Environment  
12          Management, or EM, at the LANL Area G transuranic  
13          waste management facility.

14          Our second goal is to gather information  
15          on the production activities to be conducted at the  
16          plutonium facility, the nuclear safety risks that  
17          NNSA has accepted, and the state of planned safety  
18          improvements to the safety system infrastructure and  
19          safety programs.

20          Following our first session today with  
21          DOE, we will invite interested members of the public  
22          to provide oral comments at approximately 2:00 p.m.  
23          this afternoon. A list of speakers who have  
24          contacted us are posted at the entrance of the room.  
25          And again, we've listed the speakers in the order

1 which they contacted us.

2 There's also a table with a sign-up sheet  
3 for members of the public who wish to provide public  
4 comment but who did not have the opportunity to  
5 notify us ahead of time.

6 We ask the speakers to limit their  
7 comments based on the number of speakers we have to  
8 make sure everybody has a chance to speak. Mr. Fox  
9 will call the speakers in the order listed and ask  
10 that they provide their name and the organization  
11 they represent, if applicable.

12 We'll have another comment period after  
13 the NNSA portion of the hearing tonight at about  
14 8:45, so please limit your comments at 2:00 o'clock  
15 to the EM portion of the hearing.

16 For this session we are glad to meet today  
17 with our counterparts from the Department of  
18 Energy's Environment Management Field Office, or  
19 EM-LA for short, and its contractor known as N3B to  
20 continue the dialogue in person on some very  
21 important subjects.

22 Though we have exchanged quite a bit of  
23 correspondence -- you get a lot of letters from  
24 us -- it's been several years since the board's last  
25 public hearing at LANL on environmental management

1 topics.

2 The focus of our last hearing, as you'll  
3 recall, with waste management involved  
4 inappropriately remediated nitrate salt-bearing  
5 waste, commonly known as RNS waste. In 2014 one of  
6 these drums that was packaged at LANL underwent an  
7 energetic chemical reaction after it had been  
8 shipped to the Waste Isolation Pilot Plant, known as  
9 WIPP.

10 This event, which resulted in the release  
11 of radioactive material and paused waste disposal  
12 across the complex for several years, has had  
13 profound effect across the complex on operational  
14 posture of the entire DOE complex.

15 One key recent development has been a  
16 major revision to DOE Standard 5506, which governs  
17 the safety bases of transuranic waste facilities.  
18 The department has incorporated lessons learned from  
19 the WIPP event and has put those into its new  
20 standard. Its also taken advice from one of our own  
21 technical reports, the DNFSB Technical Report 43,  
22 which identified deficiencies in that standard.

23 For the public's benefit, the safety basis  
24 document is a documented analysis of work to be  
25 performed, the hazards associated with that work,

1 and the safety controls needed to adequately  
2 protect, prevent, or mitigate those hazards.

3 One of our objectives today will be to  
4 understand progress toward aligning the Area G  
5 safety basis with the most current standards and  
6 guidance available for transuranic waste facilities.

7 Additionally, the technical focus areas  
8 and even the organizational structures at LANL have  
9 changed. One of the corrective actions from the  
10 2014 WIPP event was to split off the environmental  
11 management functions from the existing LANL Federal  
12 and contractor organizations. We now have a DOE  
13 field office and a contractor solely focused on the  
14 operations located at Area G, the location at the  
15 laboratory that deals with legacy transuranic waste  
16 with the goal of removing the waste from the hill.

17 I do want to underscore the fact that  
18 there has been progress made to address the hazards  
19 spotlighted by the WIPP event. As Mr. Summers plans  
20 to discuss in his statement, there have been many  
21 lessons learned, and DOE has reduced the risks  
22 associated with the legacy waste at LANL.

23 That said, we would not be here today  
24 holding a hearing if there were not also challenges  
25 to be addressed now and going forward.

1           While DOE has addressed the issues  
 2 associated with the specific type of inappropriately  
 3 remediated nitrate salt waste that caused the WIPP  
 4 event, there are still many containers at Area G  
 5 that contain potentially reactive waste. Our DNFSB  
 6 Technical Report 46 on potential energetic reactions  
 7 involving transuranic waste at LANL discusses this  
 8 further. While N3B has identified high risk  
 9 containers and taken actions to isolate them,  
 10 significant work remains before those containers can  
 11 be remediated and the hazard eliminated.

12           We are hoping to understand some of the  
 13 progress made on this front and DOE's plans to  
 14 accomplish future work. As we will discuss, this  
 15 relatively small subset of containers represents an  
 16 outsized fraction of the nuclear safety risk at  
 17 Area G.

18           N3B faces other challenges as well. There  
 19 are several thousand other containers above ground  
 20 and in domes at Area G. While N3B has made progress  
 21 in shipping transuranic waste off the hill and  
 22 sending it to WIPP, there is still a long way to go  
 23 before the risk is eliminated.

24           May's Cerro Pelado wildfire, the third  
 25 largest wildfire in the vicinity of LANL in the last

1 22 years, was a stark reminder of the need to reduce  
2 the risk at Area G. We understand that N3B has  
3 taken actions to protect the Area G waste inventory  
4 from these events, and we are hoping to hear some of  
5 those actions today, though hazards will remain as  
6 long as transuranic waste remains on the hill.

7 And this is to say nothing of the waste  
8 that remains buried underground at Area G. While we  
9 understand most of the works related to uncovering,  
10 remediating, and shipping that waste is still in the  
11 future, we would like to hear more about the  
12 Department of Energy's plan and schedules for these  
13 activities as well.

14 Adding to all of those technical issues  
15 are the ever present challenges associated with  
16 maintaining human capital. Both Federal and  
17 contractor organizations will be doing more work,  
18 and more hazardous work than ever before while also  
19 needing to attract, train, and retain the talent  
20 necessary to plan, accomplish and oversee this work.

21 The challenge with this work was  
22 exemplified just last month, when N3B leadership  
23 implemented a stop work for all of its operations  
24 due to a series of significant issues related to  
25 worker safety and the formality of operations. As



1 of last week, we understand N3B has largely resumed,  
2 but continues to review a handful of operations at  
3 Area G.

4 To help facilitate our discussion today,  
5 our staff has prepared exhibits to be displayed on  
6 the screen for the benefit of the members of the  
7 public as well as on the video screen. These  
8 exhibits are marked Exhibits 1 through 37. All of  
9 these will be admitted into the hearing record and  
10 are available as handouts.

11 We've also posted a listing of acronyms  
12 and a glossary of key terms to help the public  
13 better understand our discussions this afternoon.  
14 These documents will all be on our website,  
15 dnfsb.gov, and are accessible via the posted QR  
16 code.

17 Before we introduce and hear from the  
18 panelists, I would like to hear from fellow board  
19 members for opening remarks. At this time I'd like  
20 to turn it over to my vice-chair, Mr. Summers.

21 MR. SUMMERS: Thanks, Ms. Connery. Good  
22 afternoon, everyone. My name is Tom Summers, and I  
23 am the vice-chair of the Defense Nuclear Facility  
24 Safety Board. I'm very excited to be here today,  
25 and I want to welcome and thank panelists and the

1 interested public for attending this hearing today.

2 As Ms. Connery noted, during this session,  
3 we will be covering activities performed at LANL's  
4 Area G. In my statement, I will be highlighting  
5 some of the good-news stories that I am seeing at  
6 Area G as well as the topics we, the board, have  
7 interest in but unfortunately do not have time to  
8 address today.

9 Regarding the good news, I am pleased to  
10 report that N3B has recently completed its 100th  
11 shipment of transuranic waste from Area G to the  
12 Waste Isolation Pilot Plant, commonly called WIPP.  
13 N3B is working with Triad to ship waste loads to  
14 WIPP that contain waste containers from across the  
15 entire laboratory in a single shipment, including  
16 those that are newly generated by the National  
17 Nuclear Security Administration. This approach  
18 improves efficiency and increases the quantity of  
19 waste in each load from Los Alamos. I believe that  
20 shipping waste from LANL to WIPP is one of the best  
21 ways of reducing the safety risk that is presented  
22 by the aboveground waste.

23 In September of 2020, the board issued  
24 Technical Report 46, which identified that LANL does  
25 not consistently or appropriately consider

1 potentially energetic chemical reactions involving  
2 transuranic waste. In response to this report, N3B  
3 and the local Environmental Management Field Office,  
4 which is known as EM-LA, acted promptly and  
5 appropriately to remedy the situation.

6 Specifically, N3B personnel identified waste  
7 containers that may contain incompatible chemicals,  
8 improve the posture at Area G by implementing new  
9 controls for those waste containers, and improve the  
10 Area G safety basis.

11 I would also like to acknowledge N3B's  
12 plans for upgrading the legacy Area G safety basis  
13 to a document that complies with modern Department  
14 of Energy standards. This safety basis upgrade is  
15 scheduled to be completed in 2023 and will be one of  
16 the first that uses DOE's revised standard on  
17 transuranic waste, DOE Standard 5506-2021.

18 Finally, I would like to discuss the  
19 topics that the board has continued interest but  
20 unfortunately will not be able to cover today due to  
21 time.

22 Number one, dispositioning the remaining  
23 inappropriately remediated nitrate salt waste stored  
24 at the Waste Control Specialists in Texas, since DOE  
25 is still studying the problem.

1           Number two, venting of flanged tritium  
2 waste containers, also commonly referred to as FTWCs  
3 that are currently stored in a shed in Area G.  
4 Preparation for this work remains ongoing.

5           Number three, negotiations with the state  
6 of New Mexico on cleanup milestones. We know this  
7 is of interest to many in the audience, but we are  
8 not party to the proceedings.

9           And finally, number four, Waste Isolation  
10 Pilot Plant shipments in allotments for LANL  
11 transuranic waste since we do not have the proper  
12 folks present here today for DOE's Carlsbad field  
13 office.

14           Thank you, Ms. Connery for giving me the  
15 opportunity to speak. This concludes my statement.

16           CHAIRPERSON CONNERY: Thank you  
17 Mr. Summers. Mr. Roberson, do you have any opening  
18 remarks at this time you would like to share?

19           MS. ROBERSON: Thank you, Chair Connery,  
20 I'm going to forego an opening statement this  
21 session.

22           CHAIRPERSON CONNERY: Before I introduce  
23 our esteemed colleagues from the DOE and N3B, I  
24 would like to the -- actually, I am going to  
25 introduce them. Sorry. I am going to introduce our

1     esteemed colleagues from DOE.  Joining us for our  
2     first session is Mr. Michael Mikolanis, the manager  
3     for the EM Los Alamos field office; Kim Lebak,  
4     president of N3B, Los Alamos; and Mr. Gerald  
5     O'Leary, program manager for N3B in Los Alamos.

6             The board has set aside a few moments for  
7     opening statements.  I want to recognize  
8     Mr. Mikolanis for his opening statement before we  
9     proceed to questions.

10            MR. MIKOLANIS:  Thank you.  Good  
11     afternoon.  I am Michael Mikolanis, the Department  
12     of Energy's Environmental Management Los Alamos,  
13     EM-LA field office manager.  I appreciate the  
14     opportunity to provide opening remarks in today's  
15     public hearing for this session, Department of  
16     Energy -- Department of Energy's environmental  
17     management operations for LANL, transuranic waste  
18     management.

19            I want to thank the members of the safety  
20     board for conducting this hearing to engage in open  
21     and transparent discussions, and joining me today  
22     are two panel members from our cleanup contractor,  
23     N3B, Kim Lebak, who's the president and general  
24     manager, and Gerald, or Jerry, O'Leary, N3B's  
25     program manager for waste operations programs.

1           During my career at Savannah River and  
2 over the past year in my role as the new EM-LA field  
3 office manager, I've had the pleasure of meeting and  
4 engaging in dialogue with the defense board members  
5 and defense board resident inspectors, and I look  
6 forward to a continued strong relationship with the  
7 board.

8           The EM Los Alamos field office has been in  
9 existence for seven years. It's considered a young  
10 field office compared to other EM sites. EM-LA was  
11 established in 2015 to allow EM to focus on the  
12 cleanup mission and allow NNSA to focus on national  
13 security.

14           As with any transition, we work through  
15 challenges. We executed a successful bridge  
16 contract transition from Los Alamos National  
17 Security, or LANS, and our current contract, or  
18 current cleanup contractor N3B.

19           One of the major accomplishments was the  
20 completed treatment of remediated and unremediated  
21 nitrate salt waste containers at Technical Area 54,  
22 Area G in 2017. We are nearly five years into the  
23 N3B cleanup contract and carrying out our mission to  
24 safely store waste at Area G and to process the  
25 certified waste so that it can be disposed of at the

1 Waste Isolation Pilot Plant, or WIPP. EM-LA has  
2 made significant progress in reducing the amount of  
3 transuranic waste at TA-54 in Area G.

4 Since transitioning to N3B as our cleanup  
5 contractor in April of 2018, the team has been busy  
6 to reduce the risk profile at TA-54 at Area G.

7 As the chair mentioned we have completed  
8 more than 100 shipments to WIPP since the start of  
9 the N3B contract in May of 2018. The radiological  
10 inventory or material at risk has been reduced by  
11 around 29 percent. Approximately 9,000 plutonium  
12 equivalent curies, and the transuranic inventory has  
13 been reduced by approximately 1,500 containers.  
14 Like all of the EM sites, the COVID-19 pandemic  
15 impacted cleanup operations, and the pandemic  
16 impacted WIPP's ability to receive shipments. For a  
17 period of approximately four to six months, we  
18 operated in an essential mission critical activities  
19 compliance and safety posture.

20 We did not complete any shipments until we  
21 understood how the COVID-19 virus worked to ensure  
22 the safety of the workforce. Post-pandemic, we have  
23 achieved several accomplishments in our transuranic  
24 waste program. We have exceeded the EM transuranic  
25 waste shipment goals for the last two fiscal years

1 and increased our shipment goal for 2025.

2 In 2022 we started new processing  
3 capabilities in Dome 231 for glove bag and drill and  
4 drain to process more waste. In September we  
5 initiated a retrieval process for the 158 corrugated  
6 metal pipes, or CMPs, buried in Area G. The CMPs  
7 are originated at Technical Area 21 radioactive  
8 liquid waste treatment building, Building 21-257,  
9 and are now part of the below-ground waste in Area G  
10 on top of Pit 29 that we are prioritizing.

11 Next year N3B will start the process to  
12 size reduce CMPs and ship to WIPP or, if possible,  
13 to a low-level waste repository if they don't meet  
14 TRU criteria.

15 As the board is aware, your staff has been  
16 following the development of EM-LA. The development  
17 of EM-LA's new documented safety analysis that will  
18 replace the interim basis for operations that we've  
19 been using.

20 Building the DSA is a top priority for  
21 EM-LA and DOE based on an improved analysis which  
22 will lead to safety control suite focus on  
23 preventing and mitigating real hazards to workers,  
24 the public, and the environment.

25 I would like to add that EM-LA has



1 provided its notice of intent to exercise the first  
2 option period to extend N3B's contract.

3 Thank you again for inviting EM-LA and N3B  
4 to the defense board's hearing. I'm looking forward  
5 to today's discussion. Thank you.

6 CHAIRPERSON CONNERY: Thank you,  
7 Mr. Mikolanis. We're going to add his statement to  
8 the record. You'll be able to refer to that on the  
9 website, and we also welcome if the department wants  
10 to submit any more information or testimony to the  
11 record as well, we'll have it for you.

12 So I want to move over to our questions.  
13 We're here to ask questions and hear the answers.  
14 That's what we're going to do. I will take the  
15 chair's prerogative to ask the first question.

16 So as we discussed in the opening  
17 statements the 2014 WIPP event has had far reaching  
18 effects and was caused by an energetic reaction in a  
19 drum that was packaged at LANL. You can see the  
20 effects in Exhibit 1. Clearly, some actions needed  
21 to be taken so this doesn't actually happen again.

22 Splitting up the operations from NNSA  
23 management and operating contractor and standing up  
24 Los Alamos legacy cleanup contract was one of the  
25 department's corrective actions that came out of

1 this event.

2 To go over a little bit of the history.  
3 In late 2015, as Mr. Mikolanis mentioned, the EM  
4 field office was separated from LANL NNSA field  
5 office. As you can see from the 2014 letter from  
6 Secretary Moniz, this set the change in motion. The  
7 EM field office set up a bridge contract with LANS  
8 also mentioned in Mr. Mikolanis' opening remarks,  
9 and the contractor managing and operating the site  
10 at the time to manage Area G while EM field office  
11 began the selection process for the new contractor.

12 So, Mr. Mikolanis, as you noted, N3B has  
13 been operating Area G now for about four and a half  
14 years. Acknowledging that part of this period was  
15 impacted by the pandemic, as you noted, can you  
16 discuss the benefits and challenges of having taken  
17 the actions to separate out a field office and to  
18 the contract dedicated to cleanup efforts?

19 MR. MIKOLANIS: Thank you, Madam Chair,  
20 for the question. The benefit is exactly what the  
21 department sought by splitting up the two offices.  
22 There was an improved focus on the EM legacy waste  
23 cleanup mission by having a field office that  
24 directly reports up to and receives direct funding  
25 from EM. So there's a better focus on the legacy

1 waste cleanup mission.

2 I think I'd like to talk a little bit  
3 about the challenges. As I mentioned in my opening  
4 remarks, COVID impacted our ability to continue with  
5 the mission for a year to year and a half, but there  
6 are a number of challenges with setting up a field  
7 office and transitioning the contract from LANS to  
8 N3B that I think would be responsive to your  
9 question.

10 First, the standing up of the field  
11 office. A particular challenge and a lesson learned  
12 was the need to focus on the infrastructure.  
13 Christine Gelles, who was first tasked by the  
14 assistant secretary to come out and begin setting up  
15 a field office, and she worked until Doug Hinsey was  
16 appointed as the field office manager, and we  
17 transitioned over to N3B at the end of their  
18 contract.

19 We relied heavily on NNSA's existing  
20 infrastructure. Christine got a very small Federal  
21 staff that reported to her, and EM relied heavily on  
22 NNSA's subject matter experts and processes during  
23 that time of 2015, when the contract was ordered and  
24 transitioned, to 2018.

25 For example, a good example of that would

1 be the fact that EM-LA relied on NNSA to review and  
2 approve the documented safety analysis revisions and  
3 with the safety basis approval authority residing  
4 within the NNSA field office manager rather than the  
5 EM-LA field office manager that was transitioned  
6 over. That gives us an example of how the  
7 department was relying on the infrastructure of the  
8 landlord, NNSA, and a lesson learned from that is  
9 for an improved and more management focus on setting  
10 up the infrastructure, setting up the processes  
11 earlier in the setting up of the field office and  
12 transition. The contractor would have been able to  
13 put the field office in a better position. That's  
14 from a Federal perspective.

15 And we saw that in 2020 when the Chief of  
16 Nuclear Safety came out and did a -- a review of the  
17 delegated safety authorities for nuclear safety and  
18 found a number of issues.

19 With respect to the contractor and N3B's  
20 transition, there were several lessons learned as  
21 well. Doug Hinsey did a self-assessment, if you  
22 will, of some of the lessons learned and things that  
23 could have been done differently. And they boiled  
24 down to a couple of things. One is the improvement  
25 of the factual accuracy of the request proposal.

1 There was a number of things in the request for  
2 proposal that the bidders assumed to be provided by  
3 the government during the transition. For example,  
4 IT services, many of the safety management programs,  
5 training and qualifications.

6 And when N3B arrived and began to do the  
7 transition, they learned that the landlord wasn't  
8 able to provide those services. N3B had to develop  
9 their own IT system out of whole cloth. Many of the  
10 business systems as well as the technical, they  
11 didn't have an accounting system. They had to  
12 develop their own HR system. The training programs  
13 and the qualification program that N3B would have  
14 depended upon had to be built from -- had to be  
15 built from scratch.

16 N3B was able to bring over the procedures  
17 and programs and adjust them. Some of them had to  
18 be rewritten. Those critical differences were  
19 material differences in the contract that had to be  
20 addressed and took time and resources away from  
21 immediately getting in and continuing the legacy  
22 waste cleanup.

23 There was a significant challenge in terms  
24 of the workforce. When the RFP was put out, the  
25 intention was to transition essentially the

1 workforce that was doing the legacy waste cleanup  
2 under NNSA over to N3B to provide them that  
3 opportunity.

4           The key element, though, that disrupted it  
5 was the questions regarding the pension. At the  
6 time the contract was awarded and the transition  
7 occurred, the lab was operating off of a single  
8 payor pension program, and it took some unexpected  
9 work to transition the pension program to a  
10 multi-participant rather than a single payor. That  
11 work -- that question caused -- caused uncertainty  
12 in the workforce, that uncertainty disincentivized  
13 some of the more experienced and seasoned workers  
14 from doing the work for NNSA, that led them to the  
15 question would they be losing something if they  
16 would transfer over to N3B. And it led many of them  
17 to take jobs over at the lab other than  
18 transitioning.

19           My corporate partner started off the job  
20 with only a partial workforce, less than expected.  
21 They had to recruit additional workers, which means  
22 instead of having the seasoned, highly experienced  
23 workforce, experience was a little bit lower and  
24 required some additional seasoning, which changed  
25 the technical approach the contractor would have

1 used.

2           Instead of going for the more difficult  
3 waste, like immediately early on, like the technical  
4 approach of getting into Pit 9, the Department of  
5 Energy changed the technical approach and pulled  
6 forward the corrugated metal pipes after that and  
7 put in the drill and drain with glove bag to process  
8 some of the aboveground waste, but there are  
9 additional facilities that would have started  
10 earlier which had to be deferred to later. So those  
11 challenges have really, in addressing the material  
12 differences, didn't -- the government -- EM didn't  
13 set up our corporate partners to be able to hit the  
14 ground running as expected. Those are some of the  
15 lessons.

16           CHAIRPERSON CONNERY: Thank you. I  
17 actually really appreciate your honesty and  
18 thoroughness to that answer, because those were  
19 exactly the points that we were hoping to bring out  
20 so that the public could see the difficulty of that  
21 transition. It's not easy being on the landlord  
22 side, as EM is in this situation, and certainly N3B  
23 was faced with a lot of challenges when you started.

24           So the fact that you're a tenant/landlord  
25 situation with NNSA, I wanted to just have you

1 comment shortly about your office's interface with  
2 NNSA side of the house and any challenges facing the  
3 two organizations. Obviously NNSA focuses on  
4 production, and that leads to more waste generation.  
5 How is that balanced with the legacy waste handling  
6 and disposal? I know you have a long relationship  
7 with Ted Wyka over at NNSA, so that probably helps  
8 from a personal capacity, as we spoke yesterday, but  
9 if you could make a few remarks. Thanks.

10 MR. MIKOLANIS: Thank you, Madam Chair,  
11 for the question. When the field -- I was not here  
12 when the field office was split off in 2015. As  
13 within separation of any entity into two smaller  
14 ones, there's always going to be some hurt feelings.  
15 There's always going to be some issues to work your  
16 way through. And that was the case with the  
17 splitting out of EM-LA.

18 I believe that many of those have been  
19 addressed. In order to strengthen that, as you  
20 mentioned I have a relationship with Ted Wyka. I  
21 would like to share that with members of the public  
22 that are here.

23 When I joined the Department of Energy in  
24 1995, I went to work for the departmental  
25 representative for the Defense Nuclear Facilities



1 Safety Board. Ted Wyka was already at that office.  
2 So I began my career in DOE and worked for most of  
3 the first seven years with Ted Wyka as a coworker.  
4 So we built a good professional and personal working  
5 relationship. As we went our own ways after leaving  
6 Mark Whitaker's office, we kept that friendship and  
7 professional working relationship over the years.

8 Now, as I found myself applying for this  
9 position in the twilight of my career, and I was  
10 extremely pleased to see that Ted Wyka was being  
11 selected as manager for the NNSA field office. And  
12 that enabled me to start in this position with a  
13 level of trust and communication and ability to have  
14 difficult discussions that it could take years to  
15 develop with someone who I didn't have that personal  
16 relationship.

17 So given that level of trust, and we're  
18 able to model the partnering that is expected  
19 between NNSA and EM-LA and push those expectations  
20 down within our organizations as well as with our  
21 contractors who get the work done. And we've set  
22 that expectation, and we've seen some results and  
23 improvements over the year I've been here. I expect  
24 to see -- I'm excited to continue to take on that  
25 challenge as Ted and I continue working together.

1                   CHAIRPERSON CONNERY: Thank you. I'm  
2 going to turn the microphone over to Mr. Summers,  
3 the next question.

4                   MR. SUMMERS: Thank you, Chair Connery.  
5 This question will be for Ms. Lebak. This spring  
6 Los Alamos was threatened by the Cerro Pelado  
7 wildfire. Our staff observed, and we applaud, the  
8 improvements in how the laboratory as well as the  
9 county prepared for this fire, including creating  
10 fire breaks to limit fire spread as shown in  
11 Exhibit 2.

12                   Ms. Lebak, given that this was the third  
13 large fire in 22 years, has this changed your  
14 outlook on necessary safety control strategies for  
15 wildfires? For example, if you identify additional  
16 specific wildfire preparation improvements that you  
17 would like to see to protect Area G.

18                   MS. LEBAK: Good afternoon, and thank you.  
19 I'd like to start with a follow-on from our last  
20 discussion, and Madam Chair asked Michael Mikolanis  
21 about his relationship with NNSA. I'll provide a  
22 brief commentary on our relationship with Triad  
23 since we were in a tenant-type situation on the  
24 laboratory site.

25                   I think the communications are really

1 strong with Triad from contractor to contractor, and  
2 we meet with the lab leadership monthly, and we have  
3 a very open dialogue with at least two of their  
4 senior leaders. We work issues, we can pick up the  
5 phone and call each other as needed, and we are  
6 performing most of our work on the laboratory, and  
7 there is daily interface at various levels of N3B  
8 with counterparts at Triad.

9 I would say -- I would echo Michael's  
10 comments about transition being a little rough, but  
11 since Triad has been over there for several years,  
12 and N3B has been stood up, I think we are  
13 communicating very effectively. We also have a  
14 contractual arrangement where we can provide  
15 services to each other. We can get services from  
16 them, and we can provide services as well.

17 So all of those communications and  
18 services have really, you know, worked -- we've kind  
19 of worked through the bugs.

20 To get to your explicit question on the  
21 fire, in May, you know, we found ourselves --  
22 actually late April into early May we found  
23 ourselves in another fire situation. Fire is  
24 something we are always concerned about at  
25 Los Alamos because of the two fires you mentioned.

1 And we get emergency preparedness services from  
2 Triad, but we work together as a unit.

3 You will see that Triad and Los Alamos  
4 County and N3B and the other entities in the  
5 vicinity of Los Alamos are all trying to work  
6 together, because it's a unit up there. The schools  
7 are part of that as well, and so it behooves us to  
8 function as a unit, and Triad does an excellent job  
9 of taking command and control as the laboratory and  
10 then getting the comms out and getting the people  
11 talking and interfacing together.

12 So the fire, we all just kind of fell into  
13 our positions, and we were able to work through  
14 that. Fortunately the fire didn't encroach upon the  
15 laboratory boundary.

16 But to your point, it's a stark reminder  
17 of what can happen, and in this particular case, it  
18 was on the other side of the laboratory, so it  
19 wasn't immediately adjacent to Area G, but still,  
20 one of our primary objectives is -- is doing  
21 vegetation control around Area G, and there's  
22 certainly zones where Triad takes the lead for  
23 certain vegetation control, and then N3B has -- we  
24 have our spaces, but we are very diligent about our  
25 vegetation control, because that would obviously

1 fuel a fire.

2 Also in some of our other areas where we  
3 work on the laboratory for environmental remediation  
4 activities, vegetation control is of paramount  
5 importance.

6 If you don't mind, sir, I can ask Jerry to  
7 comment on some of the transuranic waste-specific  
8 activities.

9 MR. O'LEARY: Thank you, Kim. Yes, so at  
10 Area G we remain in a ready state for wildfire  
11 mitigation. Our safety basis documents require us  
12 on a monthly basis during the growing season to do  
13 inspections of our defensible spaces, and those  
14 defensible spaces are maintaining vegetation control  
15 around fire hydrants or where firemen have to hook  
16 up their hoses. This defensible space also includes  
17 our storage locations as well. We do that on a  
18 monthly basis or even more frequently. The minimum  
19 is monthly.

20 Then we have a minimum of vegetation  
21 control and vegetation cutback on a monthly basis as  
22 well. But during growing season, that's more  
23 frequent than on a monthly basis. Not only on  
24 defensible spaces, but we also do it around the  
25 perimeter of the Area G fence line, so that

1 vegetation is also controlled.

2 Other things we are starting to implement  
3 now is -- in the winter season is to start to look  
4 at getting ahead of doing vegetation and cutbacks  
5 during the winter season as we can. That way we get  
6 ahead of the springtime wildfire events that occur.

7 So we are always proactive for what we're  
8 doing in Area G for vegetation mitigation.

9 MR. SUMMERS: Thank you, Ms. Lebak and  
10 Mr. O'Leary.

11 Chair Connery, back to you.

12 CHAIRPERSON CONNERY: I think Ms. Roberson  
13 had the next question.

14 MS. ROBERSON: We have Exhibit 3, and  
15 Exhibit 3 shows locations at LANL where the waste  
16 containers are loaded for shipment to WIPP. On the  
17 left side is a picture of the ramp shipping  
18 facility, and the right side is the mobile unit in  
19 Area G.

20 As we understand it, the number of  
21 containers in a shipment to WIPP depends on many  
22 factors. For example, just considering container  
23 size, the transport truck can accommodate roughly 40  
24 drums or just six standard waste boxes.

25 To Ms. Lebak, how many containers are

1 actually ready for shipment to WIPP, and when do you  
2 expect to ship those containers?

3 MS. LEBAK: Thank you for that. As was  
4 noted in the earlier introductory comments, we have  
5 made our -- a major milestone in our transuranic  
6 waste shipping, and we have shipped 100 shipments,  
7 actually more since our press release on that, but I  
8 think we've done very well.

9 Michael Mikolanis noted that during the  
10 beginning of our contract there were -- we did have  
11 a slightly slower pace when we were wrangling COVID,  
12 which we're still wrangling, obviously, with the  
13 masks. But we did have fewer shipments at that  
14 time. Right now we have approximately 2,200  
15 containers aboveground at Area G, and of those ready  
16 for shipment, I will confer briefly with Jerry.

17 MR. O'LEARY: I can continue on that. Of  
18 the 2,200 containers, we have 250 that are in the  
19 queue. They're either in the certification process  
20 or have been certified for shipment. Of that 450,  
21 we have about 170 that are certified currently for  
22 shipment, and the balance are going through the  
23 certification process.

24 So that's where we stand right now, and  
25 that's about ten shipments worth of containers based

1 on, you know -- five to ten shipments based on how  
2 we load-manage those TRUPACTs.

3 MS. ROBERSON: Any idea when we might see  
4 those five shipments go?

5 MR. O'LEARY: We have it on the books now.  
6 I think we actually had some shipments go out.  
7 We're routinely shipping every week.

8 MS. LEBAK: We do talk with Michael  
9 Mikolanis each year and establish goals for  
10 shipping, and we do that every year, and we, right  
11 now, discussed 40 shipments per year for our goal  
12 setting.

13 MS. ROBERSON: Thank you, ma'am. So you  
14 still have quite a few drums up there that you have  
15 to deal with. Are there some things that N3B can do  
16 to help accelerate preparing those drums for  
17 shipment?

18 MR. O'LEARY: I'll take that question.  
19 Yeah, so, of the 2,200 drums we do have there, all  
20 are in safe compliant storage right now. Like I  
21 said, we have 450 in the queue.

22 We're also bringing on additional  
23 characterization capabilities, such as a realtime  
24 radiography unit. I'm sure you're familiar with  
25 that. Just like when you go to the airport, you put



1 your bag through the x-ray, tells you what's in it.  
2 And so we're bringing on an additional unit for  
3 that. We're also refurbishing some of our  
4 equipment. We experienced some downtime with some  
5 of our characterization equipment, such as the high  
6 energy real-time radiography unit that we currently  
7 have. So we're refurbishing that to increase the  
8 uptime throughput.

9 And we're also going to refurbish one of  
10 our nondestructive assay units as well. These are  
11 old pieces of equipment, so the downtime -- we're  
12 going to minimize downtime on those units. So  
13 that'll increase the availability of feedstock for  
14 shipments.

15 We've also, as Michael alluded to,  
16 established additional remediation lines within  
17 Area G. We're in there processing right now. We  
18 have what we call a drill-and-drain operation, and  
19 we also have what we call a glove-bag operation, and  
20 those are ongoing right now. And as those  
21 containers come out of the remediation, they'll be  
22 available to go into the certification process. We  
23 didn't have those in the past. We stood those up  
24 over the last year.

25 Additionally, we have some corrugated

1 metal pipes that we're retrieving. Now, those don't  
2 require remediation, but they do require size  
3 reduction. So we're in the process of retrieving  
4 those now and then we're in the readiness phase of  
5 the size reduction process. We look to bring that  
6 process up in the third quarter of this fiscal year,  
7 and once that process starts, and we start to shear  
8 those CMPs, that'll provide additional feed for the  
9 characterizations and subsequent shipping.

10 MS. ROBERSON: Thank you, sir. So,  
11 Mr. Mikolanis, as you probably know when we travel  
12 to the sites we take the opportunity to meet and  
13 hear from local community groups and members of the  
14 public, and I'd like to give you an opportunity to  
15 address one of the concerns that we heard.

16 As Mr. Summers stated in his opening  
17 statement, N3B and Triad are working together to  
18 maximize waste loads and shipments to WIPP. So two  
19 points if you could address, one, you know, assuring  
20 that that does not diminish the commitment and  
21 priority to removing waste in G area; and two, where  
22 can the public find information about these  
23 shipments as they occur so they can understand that  
24 that is still moving waste from the mesa?

25 MR. MIKOLANIS: Thank you, Ms. Roberson

1 for the question. I would like just to clarify for  
2 members of the public that may be observing, we're  
3 sharing some drums in approximate numbers. I know  
4 the board is very much aware of this. For the  
5 benefit of the members of the public we're  
6 addressing, the numbers we're using are approximate  
7 numbers. The numbers in characterization, ready to  
8 go, vary from day to day as we ship some, process  
9 some, move through, gets them through the  
10 certification process. So we're using approximate  
11 numbers today just because what was correct a week  
12 ago will be different this week as we continue to  
13 make progress.

14           Regarding your question of the -- I think  
15 you're speaking to the commingling of shipments.  
16 And rather than just appear, when WIPP sends the  
17 shipment truck up to a ramp to load the EM legacy  
18 waste, sometimes we don't fill the three TRUPACTs  
19 completely with environmental management legacy  
20 waste. There's a very good reason. If you indulge  
21 me, I'll explain that.

22           I'm going to use laymen's terms for the  
23 benefit of the public that might be listening.  
24 There are limits that we have to abide by in order  
25 for the shipping of the containers or to what can

1 actually go to WIPP itself on the truck.

2 Couple of examples that come to mind. As  
3 a weight limit you can't overload the TRUPACT  
4 container. It's only certified to a certain level  
5 of weight or MAR or plutonium equivalents that you  
6 can put into a shipment. When we run up that limit,  
7 if we don't completely fill up all TRUPACTs, we have  
8 to load empty drums called dunnage to fill up the  
9 rest of the TRUPACTs, because you don't want to let  
10 the soft chewy center of the Tootsie Roll roll  
11 around inside the TRUPACT.

12 So rather than sending an empty dunnage of  
13 drums, the department of EM will back off that limit  
14 a little bit and allow the remaining to be picked up  
15 by some newly generated waste that would completely  
16 fill the truck, completely fill the TRUPACT up.

17 An example I use -- this question comes up  
18 many times in other forums. It comes up just  
19 recently in the presentation I made to the New  
20 Mexico legislature. If you're trying to load a cord  
21 of wood up into your pickup truck, you're going to  
22 have a weight limit of what you can put in the bed.  
23 Let's just say it's 1,000 pounds, and you've got ten  
24 cubic feet of space in the truck. If you get that  
25 1,000 pound limit when you're only at seven instead

1 of ten cubic feet, you don't want to drive home with  
2 part of your truck empty. You're going to take a  
3 little bit out and put some of the lighter wood in  
4 so you can fill up the entire truck.

5 So that's kind of what we're trying to do  
6 with the commingled shipments. EM will fill up a  
7 little bit and back off a little bit and let on some  
8 of the newly generated waste. So I'm not sending  
9 dunnage and empty trucks and sending air to WIPP and  
10 putting air down into the mine. And that's kind of  
11 how we do that. With regards to how the public --  
12 where the public can go find the data and what's  
13 in -- I don't track that data. Actually, that's --  
14 the metrics that we set for our corporate partners  
15 to meet the goals of the shipments. In this case we  
16 went from -- this year we're going from 30 to 40,  
17 and we set processing goals for how much transuranic  
18 waste and mixed load level waste we send to process  
19 and shipment to dispose of.

20 I have not established any parameters or  
21 metrics, rather, I should say, for tracking the  
22 amount of newly generated waste versus EM waste that  
23 goes in the truck, and so there isn't really a place  
24 the public can go to to get that information. The  
25 field office isn't focusing heavily on that either.

SANTA FE OFFICE  
119 East Marcy, Suite 110  
Santa Fe, NM 87501  
(505) 989-4949  
FAX (505) 843-9492



MAIN OFFICE  
201 Third NW, Suite 1630  
Albuquerque, NM 87102  
(505) 843-9494  
FAX (505) 843-9492  
1-800-669-9492  
e-mail: info@litsupport.com

1 I hope I answered your question.

2 MS. ROBERSON: You did. The answer to the  
3 question they mainly had was will they learn about  
4 the shipments, and you don't track that. But is  
5 there someone else who does?

6 MR. MIKOLANIS: So nobody at EM-LA tracks  
7 that, to my knowledge. WIPP doesn't track that  
8 either. The data is obviously available. We  
9 have -- we know everything about everything that  
10 goes into a particular shipment or down the shaft  
11 into the -- into the mine, but we don't track that  
12 or collate that or put that anywhere for my own use,  
13 let alone the public's, at this point in time.

14 MS. ROBERSON: Thank you, sir.

15 CHAIRPERSON CONNERY: Thank you. I just  
16 want to point out, I know that recently in New  
17 Mexico, in the Santa Fe area, WIPP came up and gave  
18 presentations to the public. And I know,  
19 Mr. Mikolanis, you made it kind of a mission to be  
20 more open with the public than perhaps your  
21 predecessors were, so just based on Ms. Roberson's  
22 questions and what we heard from the public last  
23 night, it would be very welcomed if you had more of  
24 a dialogue with the interest groups that are  
25 specifically interested in this area.

1           So I want to change the line of  
2           questioning, and I do recognize -- I want to pull  
3           from some of what you said earlier and kind of move  
4           on to the waste handling situations at Area G.

5           You mentioned the fact that the  
6           difficulties, that Triad had -- or, sorry, that N3B  
7           had when they first stood up and the fact that there  
8           was a -- I don't know if you want to call it a deep  
9           dive -- we'll call it a deep dive from the chief of  
10          nuclear safety into some of the challenges that you  
11          were facing and that you actually switched up how  
12          you were going to do the work and worked on the  
13          low-hanging fruit versus to some of the specific  
14          challenges.

15          And we just talked about the number of  
16          aboveground waste containers that need remediation,  
17          and we recognized that, as you spoke about earlier,  
18          we've had some additional approved operations to  
19          remediate these containers, and I think we've got  
20          those up on the screen right now in Exhibit 4.

21          So on the left, we have that glove bag  
22          operations that you spoke of which is used to  
23          contain radioactive contamination while workers sort  
24          through drum contents to remove prohibited items.  
25          That's what you have to do before you can ship to

1 WIPP.

2 On the right you see workers perform what  
3 you heard our colleagues mention, the drill and  
4 drain operations to empty free liquids. Those are  
5 positive developments, but more capabilities will  
6 obviously be required to process the containers that  
7 require remediation.

8 So to my first question, and I guess it's  
9 to -- to Mr. O'Leary, is given the challenges that  
10 you've had to stop works, the difficulties with  
11 the -- with conduct of operations, can you just  
12 describe how this work is going and how the public  
13 can have confidence in it to start with?

14 MR. O'LEARY: Yes. Thank you. I think  
15 I'm on, right? Okay. All right. So this work is  
16 going very well. We've experienced a longer time to  
17 remediate the drill and drain work drums than we had  
18 anticipated. There's more liquid in those than we  
19 had real-time radiography would have shown, but this  
20 whole process that we've had here, the drill and  
21 drain and glove bag went through our safety basis  
22 analysts.

23 We went through a rigorous readiness  
24 process both from a management self-assessment,  
25 contractor-readiness assessment, and



1 Federal-readiness assessment for those activities.  
2 And we go through those to make sure we have all the  
3 controls in place to operate safely. So now that  
4 we're getting some operational history, we've also  
5 made some additional changes to these processes to  
6 make sure that we stay within our safety envelope.  
7 So we'll continue on with these operations as well.

8 We haven't started the glove bag  
9 operations of yet, so as soon as we're done with the  
10 drill and drain, we'll go into the glove bag  
11 operations. Before we do that, we'll do another  
12 mock-up to make sure we're ready to perform those  
13 operations.

14 MR. MIKOLANIS: If I may, Madam Chair,  
15 your question is focused on how can the public have  
16 confidence that the processes work. The glove bag  
17 operation, that's a -- I want to elaborate on that a  
18 little bit. That gets to the heart of why the  
19 public can have confidence in the process and the  
20 rigor we're applying.

21 My corporate partners at DOE did all those  
22 things, got the safety analysis and safety basis for  
23 it, did the readiness. We were working up to it.  
24 But as we were approaching the point of starting up  
25 the operations, I give credit to resident

1 inspectors. They shared some information and some  
2 questions they had.

3 When the Department of Energy and the N3B  
4 looked at the questions of concern, it dealt with  
5 the ambiguity of the procedures. Sometimes the  
6 Department of Energy relies on skill and the craft.  
7 You hear that many times in doing the work, and  
8 rather than shutting everything off, they'll stop it  
9 if we have to change a happy to glad.

10 The resident inspectors raise some  
11 questions on the level of ambiguity, and the DOE and  
12 N3B took another look at that and decided we need to  
13 do something about that ambiguity. We delayed the  
14 startup of the drill and drain for about a month and  
15 glove bag operations even longer.

16 Again, the process works. We have  
17 rigorous processes, and when information comes up,  
18 even if it's right at the eleventh hour of getting  
19 ready to start up we will pause, look at it, and  
20 deliberately decide how we're going to move forward.  
21 In this case, we delayed the actions in order to  
22 clarify some things so we didn't have a problem six  
23 months after starting up.

24 CHAIRPERSON CONNERY: I appreciate that.  
25 We understand stopping work when you have a

1 challenge is important.

2 I want to point out to the public, the  
3 resident inspectors are actually DNFSB employees,  
4 who we actually have assigned to the laboratory.  
5 They're not Federal oversight employees or N3B  
6 employees. So they are our employees. We are a  
7 small organization. We have two resident inspectors  
8 at this point.

9 So we're glad that you were able to get  
10 that information from them. It's a little bit  
11 concerning that it took the resident inspectors  
12 raising the issues to get you to that point.

13 Ms. Lebak?

14 MS. LEBAK: Yes. Madam Chair, I might add  
15 we did initiate a stop work in the October  
16 timeframe. We were seeing some issues in our field  
17 operations. One example is a heat stress illness  
18 that was realized when we were commencing our  
19 corrugated metal pipe operations, and we had some  
20 other examples of safety issues which were hand  
21 related, head bumps, and other activities, and then  
22 a couple of examples in our environmental  
23 remediation activities.

24 So as a company, we said, let's take a  
25 stop here, go back, and relook at our processes and

1 procedures and release these field activities on a  
2 case-by-case basis once we -- we go in and basically  
3 approach it like an integrated project team approach  
4 and relook at those activities.

5 So I -- I feel like that is the only thing  
6 to do in that situation. We're looking at our data,  
7 we're looking at our metrics, and we weren't  
8 satisfied with what we were seeing, so we called a  
9 stop work, and we have -- we have released our field  
10 activities. We do have some follow-up actions that  
11 we'll be working probably for the next six or eight  
12 weeks as we proceed, but we have to exhibit that  
13 stop -- you know, a trite expression is go slow to  
14 go fast. When we look at our data, and it's not to  
15 our liking, we will stop and then reapproach.

16 CHAIRPERSON CONNERY: I appreciate that.  
17 The last question on this line -- so we talked about  
18 the glove bag operations, which haven't started yet,  
19 and the drill and drain. Clearly there can be  
20 containers this will not be sufficient for  
21 remediation, and also you're going to have to look  
22 at new capabilities and potentially new facilities  
23 to remediate some more difficult waste.

24 So I was wondering, again this is to  
25 Mr. O'Leary, what is the current plan for that, and

1 what do you project you'll need to do in the future  
2 to address some of the more challenging aboveground  
3 containers to be certified?

4 MR. O'LEARY: Thank you. Once again,  
5 these numbers are approximate. I forgot to mention  
6 that. Of the 2,200 containers, we have about 1,550  
7 that require remediation, and about 450 of those we  
8 can do on our current processes we have, and the  
9 remaining 1,100 will require additional capabilities  
10 that we currently don't have.

11 We are currently in the planning process  
12 to do those in our option period of this work. That  
13 includes the glovebox, and the compaction  
14 capabilities. Of that 1,100 containers, more than  
15 half of them just require compaction. So we're  
16 already in the planning process to put that together  
17 now. We haven't identified all that we need to do,  
18 but we're in that process.

19 CHAIRPERSON CONNERY: Just a follow-up.  
20 Are you talking to Idaho, their facilities out there  
21 that have similar challenges?

22 MR. O'LEARY: Yes, we do. We're also  
23 talking to the Oak Ridge folks. We're sending  
24 people out there in December to look at the glovebox  
25 that they have out there at the TWPC, the TRU Waste

1 Processing Facility there.

2 CHAIRPERSON CONNERY: Thank you for  
3 acronym policing. I'm going to turn the questioning  
4 over to Mr. Summers.

5 MR. SUMMERS: Thank you, Chair Connery. I  
6 have two questions that I'll direct to Mr. O'Leary.

7 The first, Mr. O'Leary, as I know in my  
8 opening statement, the board's Technical Report  
9 Number 46 identified that LANL's currently Area G  
10 safety bases does not appropriately consider  
11 potential energetic chemical reaction involving  
12 transuranic waste.

13 In response to technical Report Number 46  
14 EM-LA, N3B took action to ensure that Area G was in  
15 a safe condition. As a part of this effort, N3B  
16 identified roughly 30 containers in their  
17 aboveground waste inventory that may contain  
18 incompatible chemicals.

19 The first question, Mr. O'Leary, is  
20 Exhibit 5 shows some of these containers. Would you  
21 discuss the actions that N3B took in response to  
22 Technical Report Number 46?

23 MR. O'LEARY: Yes. Thank you. We  
24 provided barriers around some of the TECH-46  
25 containers. These are physical barriers to protect

1     them.  We also double-packed these containers as  
2     well.  We put prohibitions on how we would move  
3     them.

4             When we move these containers, we have a  
5     designated route that we move them through.  We  
6     also, when we double-pack them, they're fitted with  
7     a lid-restraining device that stays on.  When we  
8     move them again, once again we move them on a metal  
9     pallet.  They're strapped to those metal pallets.  
10    There's an independent verification that those  
11    containers are strapped to that pallet.  We also  
12    only move them with propane fork trucks.  We do not  
13    allow them to be moved with diesel or gasoline  
14    fueled.  We have a designated route, once again,  
15    when we move them.

16            We have spotters that have a stand-off  
17    distance, and we limit any other activities that are  
18    occurring in the areas that they're stored or when  
19    we're moving the containers.  Once they're at the  
20    final place we're going to store them at, they're on  
21    our single planar array.

22            So those are the actions that we've  
23    currently taken to move these.  And once again, when  
24    we do them, that's done on a critical lift plan  
25    right now so we know everything that we're doing

1 when we move those containers.

2 MR. SUMMERS: Thank you, Mr. O'Leary. The  
3 second question is what is the plan to remediate  
4 these transuranic waste containers and to prepare  
5 them for eventual shipment to WIPP?

6 MR. O'LEARY: I'll start this question,  
7 and Mike will probably weigh in on this.

8 Our plan right now is we plan on using the  
9 shielded glovebox that we're currently in the  
10 planning process. So that's in our option period.  
11 We're going to identify the risks and hazards. But  
12 right now we have to develop the design basis for  
13 that glovebox.

14 Like I previously stated, we're sending  
15 folks out to Oak Ridge to look at their glovebox, so  
16 we could perhaps use their design and bring that to  
17 N3B and to Area G.

18 MR. MIKOLANIS: I don't have anything else  
19 to add to that. I think you got it, Jerry. It's in  
20 your proposal for the option period, which the  
21 Department of Energy is currently evaluating, and  
22 we'll be in negotiations with them after we've had a  
23 chance to fully understand the proposal and  
24 different things that it's proposing to do under the  
25 option.



1 MR. SUMMERS: Thank you for your answer.  
2 Chair Connery.

3 CHAIRPERSON CONNERY: Thank you, sir.

4 Ms. Roberson, the next is over to you.

5 MS. ROBERSON: Thank you, Chair Connery.  
6 Splitting off the emission, as Mr. Mikolanis  
7 referenced in his opening, to that new field office  
8 and contractor resulted in an overall increase in  
9 the workforce at LANL that is devoted to the cleanup  
10 emission. This occurs during a period when Triad  
11 National Security is pursuing record hiring.

12 Exhibit 6 shows some nuclear operations  
13 occurring in Area G. We all know these operations  
14 require a qualified contractor and Federal workforce  
15 to execute safely and provide oversight.

16 Ms. Lebak, would you briefly discuss N3B's  
17 hiring situation and any actions you are taking to  
18 hire and retain during the same time period that  
19 Triad's is also pursuing record hiring activities  
20 from a limited resource pool.

21 MS. LEBAK: I'm going to tell you that  
22 recruit and retain and safety are two of the top  
23 items on our N3B risk register, and Triad is in a --  
24 in an enhanced hiring posture, but so is the rest of  
25 the country.

1 I mean, I will tell you from my  
2 discussions with the other contractors at the  
3 various DOE sites, it's a hot job market out there,  
4 and we continue to lose folks to places all across  
5 the country. It's not just DOE work. It's also oil  
6 and gas and other industries. So it is a very hot  
7 job market, and we've really had to amp up our  
8 recruiting, and basically we are conducting job  
9 fairs very frequently.

10 Those are being conducted right now in the  
11 local area. We've had job fairs at Northern New  
12 Mexico College in Espanola and also Cities of Gold,  
13 and we have open dialogue with the pueblos and  
14 trying to make sure they're aware of our hiring  
15 opportunities at N3B.

16 Our company is approximately 650 people,  
17 and that includes our critical subcontractors, but  
18 we also can get parent company reach-back through  
19 Huntington Ingalls Industries and BWX Technologies,  
20 and so we're employing this multifaceted approach to  
21 recruiting, and we are working it very hard.

22 We probably have 40 open requisitions  
23 right now, but that's -- I mean, our attrition is  
24 nearing 25 percent for the calendar year, and it  
25 will require very aggressive attacking throughout

1 the rest of the year, and getting them on board is  
2 the first step. Then we have to, you know, make  
3 sure the people are trained. We typically give them  
4 a hearty training register to get them through all  
5 of their courses, and then depending on what their  
6 background is, they have additional OJT, what have  
7 you.

8 We've also worked with the local colleges,  
9 Northern New Mexico College and University of New  
10 Mexico Los Alamos, on a nuclear apprentice program  
11 and rad control technician-type boot camps, where we  
12 can bring in junior employees and get them -- kind  
13 of grow our own. And many of the contractors across  
14 the complex are employing similar techniques with  
15 the local universities in their area, so we've been  
16 able to get many people through the boot camps.

17 We also have support service-type  
18 contractors that we have access to. We've set up  
19 arrangements through our contracting mechanisms to  
20 work with our support service contractors, and we --  
21 we are -- we're trying to cover all the bases there,  
22 and it will continue to be a challenge for the  
23 foreseeable future.

24 And for the option period we will continue  
25 to work with our DOE client and talk about maybe

1 things that we can -- we can obtain like maybe, you  
2 know, look at our pay banding and other things that  
3 we can work together to help us be more competitive.

4 So we are experiencing, I would say, a  
5 fairly high attrition, and I'm sure DOE and Federal  
6 employees have their own trials and tribulations as  
7 well, but we are definitely attacking it with  
8 reckless abandon and will continue to do so and get  
9 the people in the training and try to get the junior  
10 people paired up with more experienced personnel as  
11 they transition into their work and what have you.

12 So briefly, those are some of the things  
13 that we are currently executing.

14 MS. ROBERSON: Thank you, ma'am. I see  
15 it's high on your list.

16 Mr. Mikolanis, I'm going to assume you  
17 have some similar challenges, but we do understand  
18 you've been more successful at attracting and  
19 training personnel as technical assistance  
20 contractors to perform duties similar to facility  
21 representatives rather than attracting folks to  
22 actually fill the Federal positions. Would you  
23 discuss your thoughts on the root of that situation,  
24 and tell us how that is progressing.

25 MR. MIKOLANIS: Thank you, Ms. Roberson

1 for the question. I do have some challenges. As I  
2 mentioned, Christine Ellis started the office with  
3 just a handful of people. Our currently approved  
4 staffing plan includes 41 Federal positions. I  
5 currently have 30 of those filled, and I am actively  
6 recruiting to fill the remaining 11.

7 In the meantime, the field office -- we  
8 are a small field office. We rely heavily on  
9 corporate reach-back. I depend upon Brenda Hawks  
10 and her staff and reach out to some of my fellow  
11 coworkers that used to be in Savannah River and  
12 other offices for resources.

13 I have a significant level of support from  
14 my technical support contractor. That's about 31  
15 employees in total that augment both my business  
16 functions as well as my technical oversight  
17 functions. While some of the technical support does  
18 do operations oversight, I do not hire them rather  
19 than focusing on the recruiting of Federal facility  
20 reps or equivalently nuclear safety specialists.  
21 Those two resources that are particularly hard to  
22 find, because you can't go to a college and just  
23 hire a graduate who's been trained on nuclear safety  
24 or one that has operations oversight.

25 But we are looking at some innovative

1 things. I've asked my office of business operations  
2 director to figure out how do I go to shipyards, how  
3 do I go to some of the large Naval bases and find  
4 the senior chief petty officers and outgoing Naval  
5 officers who may not be interested in serving a full  
6 career in the Navy but have an incredible wealth of  
7 operations experience that depending on their  
8 background of nuclear safety if they have a college  
9 degree and done that kind of work related to the  
10 concepts or operations oversight, the chief petty  
11 officer senior or warrant officer would be perfect.

12 I'm working on trying to fill the  
13 positions. They're difficult to find and reluctant.  
14 A lot of people like to live in sunny South  
15 Carolina, Tennessee, which actually has four  
16 seasons. We are working very hard to try to fill  
17 the vacant positions. I make sure I've got adequate  
18 corporate reach-back and support from my technical  
19 support group.

20 MS. ROBERSON: So while you're working on  
21 both arms, trying to fill with Federal employees, do  
22 you foresee the need to increase the number of  
23 technical contractors you're utilizing?

24 MR. MIKOLANIS: Thank you for the  
25 question. I did increase it a little bit when I

1 first came to the field office. I don't remember  
2 how many I had. I've selectively, as the pace of  
3 operations changes if I need additional resources,  
4 I've gone out and sought those. I have the budget  
5 to do that. I'm not at the ceiling of the support  
6 contract. I can get additional resources if the  
7 situation warrants it.

8 MS. ROBERSON: Is that working well for  
9 you right now while you try to hire a team and  
10 retain?

11 MR. MIKOLANIS: Yes, ma'am, it is. I  
12 certainly like to hire and fill out my Federal  
13 positions. That's much more preferable. When I  
14 fully -- when I do reach full -- fully fill all my  
15 vacant positions, I'll be looking again at my tech  
16 support to see what kind of adjustments I need from  
17 there. Right now they're filling in that gap. I  
18 would expect the level of support and how I would be  
19 using it to be changed once I reach that fully  
20 staffed position.

21 MS. ROBERSON: Thank you, sir.

22 CHAIRPERSON CONNERY: Not going to make a  
23 comment about that four seasons remark you just  
24 made. I don't know if you've made a lot of friends  
25 in Santa Fe for saying that.

1           So we talked earlier about the fact of  
2 conducting a review of EM-LA in 2020 that identified  
3 concerns with the field office's ability to perform  
4 the nuclear safety regulatory functions. Some of  
5 these concerns had rather fundamental problems  
6 paraphrased here in Exhibit 7. There weren't  
7 adequate processes or procedures in place to  
8 facilitate nuclear facility safety oversight, nor  
9 were there adequate ownership of documentation of  
10 field office products.

11           We talked a little bit earlier about  
12 safety bases and obviously new operations that have  
13 FRAs and other reviews by the Feds. So I know that  
14 a lot of those challenges predated your tenure, but  
15 you're in charge now, so after implementing some of  
16 the corrective actions from that single assessment,  
17 what credible measures are you monitoring to ensure  
18 EM-LA is on the right the path to perform these  
19 functions again?

20           MR. MIKOLANIS: Thank you, Madam Chair,  
21 for that question. I actually had the dubious  
22 pleasure while I was acting deputy assistant  
23 secretary in 2021 of commissioning that chief of  
24 nuclear safety review, and one of my first actions  
25 reporting to Los Alamos in August and September, I



1 signed the corrective action plan to go address  
2 those issues. So I think Brenda Hawks and her team  
3 did an excellent job of digging in and identifying  
4 issues.

5 I mentioned earlier we -- one of the  
6 lessons learned in standing at the field office and  
7 transition is we need to focus on the  
8 infrastructure, and part of that infrastructure is  
9 establishing the policies and institutionalizing the  
10 procedures and policies for how we do our business,  
11 particularly the nuclear safety and technical  
12 functions that support the safe operations of the  
13 facilities.

14 So the chief of nuclear safety found, I  
15 think it was, ten findings -- excuse me, five  
16 findings and five management concerns that drove the  
17 corrective action plan of about 53 items. Most of  
18 those corrective actions have been done. The staff  
19 is starting to review the status of closure  
20 packages. A couple of them we've identified need  
21 additional work.

22 Once I've finished with the closure of all  
23 the actions, we will be doing a further follow-on  
24 review of those to ensure that the closure and  
25 action taken are effective in addressing the issues

1 and the causes.

2 We're -- in response to the -- to their  
3 assessment, we're establishing institutionalizing  
4 those procedures. I'm showing them we've got a  
5 formal process for trending and managing their  
6 records that we're adhering to the timelines for  
7 developing nuclear safety analysis, reviewing  
8 issues, processing, discovery, USQ PISAs, things  
9 like that.

10 And another important thing is ensuring it  
11 creates a sensitivity, partly why we're using so  
12 much tax support of ensuring that we have  
13 compensatory measures in place when staffing levels  
14 are not what they should be. Those are some of the  
15 lessons learned and some of the actions I'm taking.

16 I hope that answered your question. If  
17 not -- the four seasons was actually not to offend  
18 any residents of New Mexico. I was thinking of  
19 South Carolina where it's really -- it's either  
20 summer or kind of spring. There's not much of a  
21 winter. I might have a -- I might have a little  
22 explaining to do when I come off the stage tonight  
23 when someone comes at me.

24 CHAIRPERSON CONNERY: It's the land of  
25 enchantment. I'll just remind you of that. So I

1 didn't have any specific questions here. I think --  
2 I mean, I think you touched on them. Some of it was  
3 the timeliness for doing safety basis approval of  
4 PISAs, which, for the audience, are potential --

5 MR. MIKOLANIS: Potential Inadequacy of  
6 the Safety Analysis. Yes, ma'am. Thank you for  
7 catching my acronym.

8 CHAIRPERSON CONNERY: Those are the types  
9 of questions I had. Sounds like you're reviewing  
10 those. Are you going to invite back or do you  
11 expect Ms. Hawks -- I know she's here now. But is  
12 she going to come back to do another review to see  
13 that you're making progress in those areas?

14 MR. MIKOLANIS: So Ms. Hawks and some of  
15 her staff were actually involved in the review of  
16 the closure package with me. So I asked them to be  
17 involved in the closure package as well.

18 Although as the field office manager, I  
19 have the capacity to close the gap in the corrective  
20 action plan and the actions that come from it. I  
21 know Ms. Hawks is going to be coming out and doing  
22 other reviews. The next review is focusing on other  
23 safety authorities. There are other delegated  
24 safety authorities from EM 3.1 and the orders give  
25 them a responsibility to go out and check and make

1 sure that the field has maintained the capabilities  
2 to execute those authorities responsibly.

3 CHAIRPERSON CONNERY: Thank you. I know  
4 that you understand we are keenly interested in the  
5 safety basis, and so I'm going to turn it over to  
6 Ms. Roberson to pursue that line of questioning.

7 MS. ROBERSON: Thank you, Chair Connery.

8 Yes, I think you know we are always very  
9 interested, especially safety basis, for Area G.  
10 Since January 2020 N3B has uncovered many issues  
11 with the Area G safety basis. One such issue was  
12 regarding the spatula-like tube that blocks drum  
13 vents during headspace gas sampling. And we can see  
14 a picture of this, too, on the drum on Exhibit 8.

15 This condition was not analyzed for a  
16 safety basis, so gas sampling operations were  
17 paused. Despite this being a relatively simple  
18 operation, challenges for getting the safety basis  
19 paperwork squared away properly was not resumed  
20 until August of 2021, almost two years later.

21 By contrast, Triad completed a safety  
22 basis change for the same issue in about two months.  
23 This is just one example of N3B and EM-LA having  
24 difficulties with the timeliness of the safety basis  
25 review and approval process.

1           On August 17, 2022, the board issued a  
2 letter to DOE encouraging it to expeditiously  
3 complete and implement a modern Area G safety basis.  
4 It appears that all stakeholders have recognized the  
5 new safety basis where Area G continues to be a top  
6 priority. This has been a long journey given that  
7 EM-LA determined a new safety basis was needed back  
8 in 2015.

9           So, Ms. Lebak, last we understood, it was  
10 N3B's goal to submit a new safety basis, submit the  
11 new safety basis documents in January of 2022. Is  
12 that still the case, and what is your confidence in  
13 heeding that?

14           MS. LEBAK: Yes, ma'am, that's still the  
15 case third quarter fiscal year '23, and I'm highly  
16 confident that we will meet that.

17           I would like to comment on some of the  
18 question parts there. We have been using an older  
19 safety basis document, and the Department of Energy  
20 requirements and regulations change over time, and  
21 we've had a lot of these requirements for  
22 essentially 30 years in some way, shape, or form.  
23 They vary whether they're in a DOE order requirement  
24 or if the department goes in for rulemaking, but we  
25 have always been -- as long as I've been affiliated

1 with the DOE complex, we've always been tasked with  
2 analyzing the hazards and looking at the activities  
3 and making sure we're within a proper safety  
4 envelope which the DOE approves.

5 So because our document is older doesn't  
6 mean the controls in that document are bad, but we  
7 do look forward to bringing our document into  
8 compliance with the new standards and looking at the  
9 control set that will be yielded after we go through  
10 the analysis.

11 We do have very -- we have many effective  
12 controls in place right now in Area G for our drums  
13 that are stored there and some of our upcoming  
14 activities like the corrugated metal pipe activities  
15 and what have you.

16 But I am glad we have reached agreement  
17 with the Department of Energy to get the modern  
18 document in place and get through all the analysis  
19 that it takes and get the really, really good  
20 control set in place so we can look forward to  
21 hopefully the next five years of operations at N3B.

22 Now, you referenced some difficulties that  
23 we had on headspace gas sampling, and what have you.  
24 We did encounter what we call potential inadequacies  
25 in the safety analysis of the older document, and we

1 had several inadequacies that we identified. It was  
2 a pretty large number, but again, we are dealing  
3 with an older document. So the process allows for  
4 those PISAs, as the board well know, and so we  
5 can -- we can address those issues one by one and  
6 put controls in place through a justification of  
7 continued operation, which we were able to do in  
8 several of those cases that you mentioned.

9 And so those controls were implemented,  
10 and we look forward to delivering that document to  
11 DOE in the third-quarter timeframe and continuing to  
12 work on our analysis and get continued safe storage  
13 and processing capabilities at Area G.

14 MR. MIKOLANIS: I'd just like to revise  
15 and extend my corporate partner's remarks in one  
16 aspect. You asked January, that second quarter, so  
17 again the transparency for the board and members of  
18 the public listening. January was the date at one  
19 point. That has slipped a little bit as of the  
20 third quarter. I anticipate being able to still  
21 hold the implementation date.

22 There were some questions and things we  
23 needed to spend time on. The air dispersion  
24 modeling, for example, there were some things that  
25 shifted the submittal date from the second quarter

1 to the third quarter. I have a high confidence in  
2 the third-quarter delivery. I have a high  
3 confidence in the department getting it and  
4 approving it, which is the first quarter 2024, which  
5 would be the second quarter FY24. I have a high  
6 confidence we're going to beat that or better.

7 MS. ROBERSON: Thank you. I appreciate  
8 you clarifying that. I was going to follow up as  
9 well too, and I appreciate you addressing, because  
10 that was going to be my next question. Has your  
11 office prepared to do its review so that  
12 implementation can be timely as well too? So I  
13 still want to know if you have the resources and  
14 support you need to complete the Federal review in a  
15 timely manner.

16 MR. MIKOLANIS: Thank you for the  
17 question. I do have the resources. I'll briefly  
18 identify them. We have a team consisting of N3B to  
19 and my staff to do the day-to-day oversight and the  
20 development of the safety analysis. We established  
21 an independent safety basis review team, led by Bob  
22 Nelson, who is the coauthor of the new 5506  
23 standard. So he's highly knowledgeable of what's in  
24 the new standard, how it's changed, and that gives  
25 me more assurance that what we're developing will be



1 compliant not just with the 2014 version of the 3009  
2 standard but also the updated expectations of the  
3 5506.

4           The safety basis review team is engaged  
5 with the integrated project team on a routine basis,  
6 so they're aware and have a chance to provide  
7 feedback but also step away for the independence.  
8 I've relied on the safety basis review team an awful  
9 lot for corporate reach back to headquarters and  
10 other resources we have across the complex. I'm  
11 using the current staff so my team can focus on the  
12 development of DSA, focus and get timely feedback  
13 from the safety basis approval authority, and  
14 maintaining the safety basis and stay active in the  
15 safety basis team.

16           MS. ROBERSON: Thank you, sir. My last  
17 question goes to you, Mr. O'Leary, we've seen some  
18 beautiful safety bases develop and take a long time  
19 to implement. And so we're interested in -- you  
20 guys are developing it. Do you have a sense of what  
21 implementation will look like when you talk to --  
22 generally speaking what implementation will take.

23           MR. O'LEARY: Thank you, Ms. Roberson.  
24 We, from an operational standpoint, and I'm going to  
25 speak from an operational standpoint, we have all

1     been involved in every step of the way of the new  
2     DSA development through the hazard analysis tables  
3     of the controls that are being put in place.

4             So we wanted to make sure that whatever we  
5     have we can actually implement, so we're looking --  
6     we're very confident we can implement what we've  
7     seen so far in this new DSA development. Kim said  
8     that we were going to have that done in the third  
9     quarter. I believe we're going to have the  
10    implementation done in early '24, and we'll be able  
11    to step forward and go forward working under that  
12    new DSA.

13            But once again, we've been involved in  
14    every step of the way, because once again, from an  
15    operations standpoint, we've got to be able to  
16    operate to it. So I hope that answers your  
17    question.

18            MS. ROBERSON: Oh, it does. Look forward  
19    to it. We're excited. We love -- we think a  
20    holistic new DSA is so important. Thank you.

21            CHAIRPERSON CONNERY: Thanks,  
22    Ms. Roberson.

23            Next question goes to Mr. Summers.

24            MR. SUMMERS: Thanks, Chair Connery.

25    Mr. O'Leary, the next three questions are directed

1 towards you, sir. There's still a great deal of  
2 underground waste at Area G. In Exhibit 9 on the  
3 left, you can see a photo highlighting locations  
4 that hold buried waste that promises to be a tricky  
5 retrieval operation. The right side of the exhibit  
6 shows some historical photos of work in trenches A  
7 through D on the top and in Pit 9 on the bottom.

8 As I understand, the new safety basis,  
9 when complete, will still not allow for belowground  
10 waste retrieval, but there will be a future mission  
11 needed to perform this belowground waste retrieval  
12 work.

13 So the first question, Mr. O'Leary, what  
14 would be the safety basis approach that you intend  
15 to pursue as you begin belowground waste retrieval  
16 activities?

17 MR. O'LEARY: We will have to -- thank you  
18 for the question. As you had stated, the current  
19 safety basis that we're developing now only  
20 addresses the operations we're doing above grade.  
21 So we will either have to revise the safety basis or  
22 do an addendum to that safety basis to address the  
23 below grade treatments.

24 The first retrieval we're going to do  
25 below grade is Pit 9. So that'll be in our option,

1 period, and we're in the planning process for that  
2 right now. So we're developing the technical  
3 approach. We're going to identify the hazards, and  
4 we'll go through the process so that we develop a  
5 safety basis that, once again, that we can  
6 operationally implement.

7 MR. SUMMERS: Thank you. The second  
8 question is what will be the safety approach to  
9 minimizing or better protecting aboveground material  
10 at risk once it is retrieved?

11 MR. O'LEARY: We'll do a systematic  
12 approach when we retrieve these containers from  
13 belowground. We're not going to bring them all up  
14 at one time unless we have the processing capability  
15 at the surface. So it's going to be a balancing  
16 act. We want to stay within our MAR limits at the  
17 surface, our material-at-risk limits at the surface.  
18 We don't want to bring things up if we're not ready  
19 to bring them up. So that's going to be our  
20 approach. We're going to optimize our facilities at  
21 the surface, and we're going to balance that against  
22 our retrieval operations.

23 MR. SUMMERS: Thank you. Finally the  
24 third question is, you have some previous experience  
25 at Idaho National Laboratory, which has faced

1 similar situations. To what extent is N3B able to  
2 work with its counterparts at INL in order to  
3 understand lessons learned from INL's operations?

4 MR. O'LEARY: I can address that. I was  
5 at Idaho for a short period of time. I also worked  
6 with the individual at other places that currently  
7 runs the operations for transuranic up there. So I  
8 can reach out to him to get lessons learned from  
9 their experience in the new ARP facility as well as  
10 what they're doing currently. We'll take advantage  
11 of that. We'll be talking to them all along as  
12 well.

13 MR. SUMMERS: Very good. Thank you,  
14 Mr. O'Leary.

15 Madam Chair.

16 CHAIRPERSON CONNERY: Unlike the safety  
17 basis, we're running ahead of schedule. Little  
18 levity.

19 I want to ask my fellow board members if  
20 they have any additional questions for the panel at  
21 this time. Ms. Roberson?

22 MS. ROBERSON: No, I don't have any. I  
23 appreciate the information. Thank you, Chair.

24 CHAIRPERSON CONNERY: Mr. Summers?

25 MR. SUMMERS: No, ma'am, I do not have any

1 further questions. Thank you.

2 CHAIRPERSON CONNERY: Here's what we're  
3 going to do. We're running ahead of time. We're  
4 going to take a 15-minute break. At a quarter to  
5 2:00, we'll come back here. That will be public  
6 comment time. If any of you wish to speak, address  
7 the panel, obviously you're going to make remarks.  
8 We aren't going to engage in discussion with you.  
9 This is your chance to say what you'd like to say  
10 about what you just heard and any thoughts you have  
11 regarding the EM mission.

12 After we conclude the public comment  
13 period, then the board will provide closing remarks,  
14 then I encourage our friends from EM and from N3B to  
15 stick around for public comments.

16 But at this point in time, as I'm sure you  
17 need a break, I know I do, we'll take a 15-minute  
18 break and resume at 1:45. Thank you.

19 (Recess was taken from 1:32 to 1:49.)

20 CHAIRPERSON CONNERY: We're going to  
21 resume the session. It's now time for your public  
22 comment period. We've set aside about a half an  
23 hour this afternoon, but we'll have more time this  
24 evening following the NSA session.

25 So I'm going to hand things over to our

1 general counsel, Eric Fox, who will be handling the  
2 public comment period.

3 MR. FOX: Thank you. At this time the  
4 board would like to provide an opportunity for  
5 comments from members of the public. A list of  
6 those speakers who have contacted the board is  
7 posted at the entrance of this room. We have  
8 generally listed the speakers in the order in which  
9 they contacted us. I will call the speakers in this  
10 order and ask that the speakers state their name and  
11 their affiliation.

12 There's also table at the entrance to this  
13 room, and at the entrance to the room there's a  
14 sign-up sheet for members of the public who wish to  
15 make comments but did not have the opportunity to  
16 notify us ahead of time. We will follow those who  
17 have already registered in the order in which they  
18 have signed up.

19 To give everyone wishing to make a comment  
20 an equal opportunity, we ask that speakers limit  
21 their original comments to five minutes. I will  
22 provide a warning when you have one minute left and  
23 again at 30 seconds. The chair will give  
24 consideration for additional time if the schedule  
25 allows.

1           Remarks should be limited to comments,  
2 technical information, or data concerning the  
3 subject of today's hearing.

4           The first speaker we have is Scott Kovac  
5 from Nuclear Watch New Mexico.

6           MR. KOVAC: Thank you, Chair Connery and  
7 members of the board staff. My name is Scott Kovac.  
8 I'm with Nuclear Watch here in Santa Fe. I would  
9 just like to make a couple of quick comments.

10           The -- it was mentioned earlier today that  
11 there's about approximately 170 certified drums or  
12 containers for shipment to WIPP ready to go, with  
13 another 450 or so in the queue. So that's five  
14 or -- and last year we -- LANL shipped about 100 to  
15 WIPP.

16           So this is -- we're looking at five or six  
17 years' worth of shipments already lined up here, not  
18 counting the other 1,100 or so. I just wonder if  
19 there's some way we can, you know, get those  
20 shipments -- you know, we need to increase those --  
21 the frequency of those shipments, because 100 a  
22 year, you know, is not enough to keep up with what's  
23 being -- with what's being certified to ship. Thank  
24 you.

25           Also, I want to thank you for focusing on



1 cleanup at Area G. But my question is how many  
2 similar drums are still buried under Area G? I'm  
3 not talking about the retrievable transuranic. I'm  
4 talking about waste that's planned to be left behind  
5 under a cap-and-cover scenario forever. We ask the  
6 board to look at the hundreds of thousands of cubic  
7 meters that are still buried at Area G.

8           There are estimates that -- estimates are  
9 of 46,000 cubic meters of TRU buried at Area G  
10 planned to be left behind. And as we all know, LANL  
11 is in a seismic zone between a rift valley and a  
12 dormant super volcano. This is not where we should  
13 be keeping transuranic waste with a half-life of  
14 2,000 years.

15           As we know, WIPP is -- WIPP is 2,100 feet  
16 deep, approximately, and Area G is 65 feet deep.  
17 So, you know, how can Area G be the ending resting  
18 place for so much transuranic waste when we're  
19 working so hard to get the rest of the transuranic  
20 waste into WIPP, and we're going to leave this --  
21 the vast quantities of it buried forever above our  
22 aquifer?

23           Speaking of our aquifer, the -- the -- you  
24 know, how can we be assured -- how can the public be  
25 assured that the seismic activity won't somehow

1     loosen up or dump or open up a crack or dump the  
2     contents of MDAG into the aquifer?

3             You know, we ask the -- we ask the safety  
4     board to please consider looking at some of our --  
5     our cleanup issues. For instance, material disposal  
6     Area C is in front of the -- our hardworking  
7     environment department right now, and if the board  
8     could help -- could back us up or look at or just  
9     take a look at some of the performance assessments  
10    that are given on these areas that, you know, it's  
11    hard for the public to -- to do -- to look at  
12    itself -- by itself. It's very technical. And  
13    anyway, we -- we need your help looking at the other  
14    buried scenarios at Los Alamos.

15            Thank you very much.

16            MR. FOX: Thank you. If you have a  
17    written statement, would you please give it to  
18    Ms. Tara Tadlock. We'd like to submit it to the  
19    hearing record.

20            So next up we have Kathy Sanchez from the  
21    Sayain Circle of Grandmothers.

22            MS. SANCHEZ: I'll speak first. (Speaking  
23    in foreign language.)

24            So I have Kathy Wan Povi Sanchez from San  
25    Ildefonso Pueblo, adjacent to sharing the waters

1 from LANL, and I belong to Tewa United, and the  
2 Circle of Grandmothers are the wisdom keepers. We  
3 have been having dialogues with our youth over the  
4 past couple of months. And we have a project called  
5 P'in Haa. P'in Haa means the breath of our heart,  
6 the breath within us.

7 When we're talking about nuclear issues,  
8 we're also sharing the breath with all of the  
9 multiverse and all of the nations, so everybody is  
10 affected by nuclear business.

11 And I was born in 1950 at a time when  
12 the -- there was a time being the emphasis on being  
13 the first to have the nuclear bomb as a deterrent to  
14 ending war, which we know didn't happen, because  
15 we're still here now. At that time a lot of our  
16 community members were hired to work over there, and  
17 now we have third generations of them coming down,  
18 and we're losing a lot of our populations because of  
19 the deaths due to cancer or to illnesses or to  
20 having our children have leukemia. And there's a  
21 lot of health impacts, and we're still in trauma  
22 from the longing that when we were young hearing the  
23 detonations. We were hearing duck and cover issues  
24 at school. And still at it now. We're still at it  
25 now. Nothing has really moved the barometer or

SANTA FE OFFICE  
119 East Marcy, Suite 110  
Santa Fe, NM 87501  
(505) 989-4949  
FAX (505) 843-9492



MAIN OFFICE  
201 Third NW, Suite 1630  
Albuquerque, NM 87102  
(505) 843-9494  
FAX (505) 843-9492  
1-800-669-9492  
e-mail: info@litsupport.com

1 meter towards safety, towards actually doing away  
2 with a very toxic business.

3           And so the children were also asking if  
4 there is a massive increase with their money that  
5 has come into there, and they're going to increase  
6 productions, and they're going to bring all these  
7 workers. They've been working on the issue of  
8 indigenous women missing and murdered. And what  
9 safety precautions have been given to these workers  
10 coming in of pre-business hiring, or once they're  
11 hired the paperwork that says they will abide by  
12 some standard of not engaging in sexual harassment,  
13 sexual business, and enticing our young people?

14           It's going to be massive movement hiring a  
15 lot of people coming in, and so safety also is on  
16 both sides.

17           And doing the work and being in the area  
18 with the nuclear industry, I have also been  
19 nationally involved and internationally involved  
20 with nuclear safety organizations, and we are --  
21 should be considered partners, collaborators with  
22 the nuclear industry in promoting an ending to a  
23 toxic business. How do we transition in our goals  
24 and time on both sides that we are working together  
25 for the safety of our people?

1           If it's safety security, safety resources,  
2 we need to work together. We're not the enemy.  
3 We're friendly. We're coming from the heart for all  
4 people to be well, and that is the emphasis we  
5 should be having. But looking at the lab's mission  
6 2030, it says all things nuclear they're going to  
7 really ramp up that because.

8           MR. FOX: One minute.

9           MS. SANCHEZ: -- they've been given candy,  
10 they've been given the money, and they're going to  
11 fight tooth and nail to save that.

12           The sharing should be different, not just  
13 economically giving our taxpayer money to the labs  
14 and then to give it to us. I think it should be a  
15 dual partnership in that they give our taxpayer  
16 money back to us so that we can --

17           MR. FOX: Time's up.

18           MS. SANCHEZ: I'd like to present the  
19 safety board with the blessings that you are doing  
20 great work and a great job and partnering with  
21 hearing the concerns that we have as citizens, so  
22 thank you so very much.

23           MR. FOX: Thank you for your statement.  
24 Next we have Anna Hansen from the Santa Fe County  
25 commission.

1 MS. HANSEN: Good afternoon. Thank you  
2 very much for the Defense Nuclear Facility Safety  
3 Board for being here. I personally consider you one  
4 of the most important boards in the United States.  
5 You are here to protect the public, which is  
6 paramount in many of my constituents' concerns.

7 Cleanup is a primary concern of ours at  
8 LANL, and safe transportation across the state of  
9 New Mexico is an incredibly important issue to my  
10 constituents and to me, of course.

11 So I -- I echo the comments that the more  
12 waste off the hill the better, and we want more  
13 waste sooner rather than later.

14 But I had a few questions on the  
15 presentation. First of all, next time you come,  
16 because my constituents care about this, is the  
17 venting of tritium. That is a big concern. I know  
18 it wasn't a topic for today. And also the consent  
19 decree is another big topic here, because we believe  
20 the 2016 consent decree does not really address  
21 cleanup to the issues we'd like, and then I know you  
22 are also not speaking about WIPP and DOE, but one of  
23 my questions in the presentation is what happens to  
24 the water that you drain. I was really curious.  
25 Like, you have this drill and drain. Well, where

1 does the water go?

2 I'm grateful for your inspectors. I also  
3 want to recognize that I do believe DOE did listen  
4 to me, EM, in March of 2020 right before the  
5 pandemic started when I requested a manager who I  
6 could work with, and I'm grateful to have Michael  
7 Mikolanis who, not that I will always agree with  
8 him, but that I have a working relationship with  
9 him.

10 And in order for things to get done, it is  
11 important for myself, as an elected official, and  
12 for the people in this community who care that they  
13 have someone who will actually return their phone  
14 calls and talk to them about the issues. So that is  
15 a step forward that we have not had in the past. So  
16 I want to recognize DOE for at least hopefully  
17 listening to me.

18 I have been coming to these meetings for  
19 at least, it seems, the last 15 or 20 years. We  
20 have missed you during the pandemic, and we are  
21 happy to have you back, so we hope that you will  
22 come back again soon, so that some of the other  
23 issues can be addressed, especially the tritium  
24 release. I'm not going to make any comments about  
25 NSA now. I will make it later.

SANTA FE OFFICE  
119 East Marcy, Suite 110  
Santa Fe, NM 87501  
(505) 989-4949  
FAX (505) 843-9492



MAIN OFFICE  
201 Third NW, Suite 1630  
Albuquerque, NM 87102  
(505) 843-9494  
FAX (505) 843-9492  
1-800-669-9492  
e-mail: info@litsupport.com

1           One of the other things that is concerning  
2 to all of my constituents also, because some of them  
3 are workers at LANL and at N3B and DOE, is worker  
4 safety, and so the more that we can improve worker  
5 safety, that is a huge concern, and so I want to  
6 support more worker safety as much as possible  
7 because that is really important.

8           So I want to thank you once again for  
9 being here and thank you for your time.

10           MR. FOX: Thank you for your statement.  
11 Next we have Barney Magrath from nuclear safety  
12 advocates.

13           MR. MAGRATH: Thank you for coming. I  
14 understand this is a public hearing, so even though  
15 I might ask some questions, I don't expect answers.  
16 And the last time you guys were here in Albuquerque,  
17 I was able to talk, and we were able to ask  
18 questions, and so that's the first question. Why  
19 can't I ask questions? So I don't expect answers.

20           My name is Barney Magrath. I'm a member  
21 of a small nuclear safety group, Nuclear Safety  
22 Advocates Group, NSAG. Basically we are concerned  
23 citizens who care about the safety -- about our  
24 safety while we live next to a nuclear weapons  
25 factory.



1           Our group has had several meetings with  
2 the DNFSB that is before you, and I've had quite a  
3 challenge pronouncing that acronym for a long time,  
4 right, so I had to break it up into different words.  
5 First was DN, as in da nukes, and the second is FSB,  
6 as in funny silly bombs. So now I can say that ten  
7 times in a row, DNFSB, DNFSB, ten times.

8           You guys are the good guys. We are glad  
9 you are here, and we wish you could come here more  
10 often.

11           The way I learned about nuclear safety at  
12 LANL is I read the newspaper. Our group reads the  
13 newspaper. And when one of the members of our group  
14 notices an article in the New Mexican about nuclear  
15 safety, it alerts the rest of us, and we printed out  
16 the article. After this article is printed out and  
17 we study it, what we do is we go to the DNFSB  
18 website, and we look at safety reports. And once we  
19 find the safety report that is referenced in the  
20 newspaper article, then we get more complete picture  
21 of the incident.

22           So on November 7th, the New Mexican, for  
23 instance, published an article on the Area G safety  
24 incident. It was a heat-related incident. So then  
25 we can go to the safety report and read about that,

1 and it tells us, lo and behold, corrugated metal  
2 pipes, which are basically culverts, are being dug  
3 up and disassembled and put back in barrels again.  
4 This is a long process over the last, I don't know,  
5 75 years, where these culverts were -- nuclear waste  
6 was put in them, filled with cement, buried. Now  
7 they're unburying them, cutting them apart, putting  
8 them in barrels, putting them -- burying them again.  
9 And so that's what I understand from the articles  
10 that we read.

11 The other thing in this same safety report  
12 was an issue related to the plutonium facility, and  
13 turns out this glove and bag operation with  
14 gloveboxes is they are -- I'm not sure what's going  
15 on, but sounds like they're reinventing the glovebox  
16 by designing a new door, taking off the old doors,  
17 bagging them up, and then getting rid of those.

18 On the very first day of the CMP, the  
19 corrugated metal pipe in this Area G, this plutonium  
20 facility, glovebox work is stopping. Work is  
21 stopping right away, and it doesn't seem like  
22 there's any progress being made. So that's how we  
23 get our information when we think of it.

24 Lastly, I would like to mention that  
25 according to Tara, no congressional representation

1 is signed up for public comments on either of the  
2 sessions, so that tells you that our congressional  
3 representation --

4 MR. FOX: 30 seconds.

5 MR. MAGRATH: -- is giving us the cold  
6 shoulder and not participating at all, and I just  
7 wanted to point that out. I could be wrong. In the  
8 session later today they could show up and -- but  
9 they haven't signed up. They're giving us the cold  
10 shoulder, and they always have, and that's why we  
11 need you guys. Thank you.

12 MR. FOX: Thank you for your statement.  
13 Next we have John E. Wilks III from Veterans for  
14 Peace.

15 MR. WILKES: Thank you. I'm John Edward  
16 Wilks III, vice president for Veterans for Peace,  
17 Albuquerque.

18 Now that I have five minutes, I'll use a  
19 minute for a preface. I have a statement I'm going  
20 to read. I have also filed with the board a longer  
21 statement which is more in depth and more useful to  
22 your work.

23 Veterans for Peace is 55 -- 35 years old.  
24 It's in every state of the union. We have 120  
25 chapters, and there's six chapters overseas. The

1 Albuquerque chapter's primary focus is on waste,  
2 nuclear waste, the handling, transportation,  
3 storage, disposition. That's what I do for the  
4 chapter.

5 The Santa Fe chapter works on other  
6 nuclear issues, like presidential -- sole  
7 presidential use, authority, launch and warning,  
8 which aircraft are configured to use the weapons,  
9 modernization of the nuclear arsenal, those kinds of  
10 things. I only work on storage and waste of nuclear  
11 issues.

12 I want to reemphasize and repeat something  
13 that was said. The new field office, or EM at LANL,  
14 the manager, is an all-star. We're thrilled to have  
15 him. The presentation he gave yesterday to the  
16 legislature committee was effective, articulate,  
17 useful, and very welcomed, so I want to thank him  
18 for being here with us. He is on a very short  
19 honeymoon. His agency has no honeymoon. It has no  
20 credibility, and it has no merit as far as we're  
21 concerned.

22 The three people at that table, the panel,  
23 they are doing a job that they have inherited, very  
24 difficult. They're trying to innovate. They're  
25 trying to hire, train, deploy, and clean up a mess

1 that has gone on since 1943.

2 Now I will read my statement. My remarks  
3 solely address the imminent and severe threat to  
4 public health and safety of the environment posed by  
5 the very radioactive and mixed solid liquid waste of  
6 Area G and Technical Area 54.

7 We are urging the board to strongly  
8 recommend to the DOE secretary and the NNSA  
9 administrator to immediately exhume, characterize,  
10 and remove all subterranean waste and the associated  
11 contaminated soil and water in Area G, along with  
12 the migration pathways from Area G.

13 Further, we request that the board  
14 recommend against the current proposal by the agency  
15 to do cap and cover, which of course we call hide  
16 and hope, any waste from the Pajarito Plateau.

17 Commissioner Summers brought up a great  
18 question. He asked about the buried waste in Pit 9.  
19 We have got to reverse the priority. It's buried  
20 waste because it's a threat to the community. Then  
21 it's aboveground TRU waste. Then we go with the  
22 current generated waste, much less the pit waste  
23 that's in route from the weapons plant.

24 Since 1943, Federal agencies have entombed  
25 in unlined pits, dumps, shafts, and sumps

1 radioactive waste for all characters. Because Area  
2 G is located at a high elevation, the waste residue  
3 has migrated down the gradient as well as escaped --

4 MR. FOX: One minute.

5 MR. MAGRATH: -- the air. The  
6 agricultural hills downhill to the east of the site,  
7 the regional drinking water, aquifer, public water  
8 supply wells, and the groundwater in the immediate  
9 vicinity are at imminent risk of contamination from  
10 the waste.

11 In 2002 a test well located 500 feet east  
12 of Area G showed contamination of the regional  
13 aquifer with low levels of tritium, strontium 90, and  
14 technetium-99.

15 MR. FOX: 30 seconds.

16 MR. MAGRATH: Area G encompasses 32 pits,  
17 194 shafts, and four trenches at depths ranging from  
18 ten to 65 feet below the mesa top. The waste has  
19 little or no primary containment. Beneath the  
20 surface plumes of toxic gases, radioactive tritium  
21 cover most of the waste. Low-level transuranic  
22 mixed toxic nonradioactive material compromise the  
23 aggregate. In 1994, DOE estimated the waste at the  
24 Los Alamos contained 610 kilograms of plutonium,  
25 most of which is under Area G.

1 Thank you.

2 MR. FOX: Thank you for your statement.

3 Next we have Cindy Wheeler from 285

4 Alliance.

5 MS. WHEELER: Thank you for existing. So  
6 I'm Cindy Wheeler. I'm cochair of 285 Alliance, and  
7 I'm commenting and asking questions for many of the  
8 people that live in New Mexican communities and are  
9 worried.

10 I have a comment. You know, the images  
11 showing the clear spaces to protect LANL from being  
12 broached by fire, those spaces are actually very  
13 small if you understand how strong the spring winds  
14 are in New Mexico. Fire jumps whole canyons here in  
15 seconds, and this small removal of brush and trees,  
16 at least what's demonstrated in the image, seems  
17 inadequate, and I want you to be aware that during  
18 these fires the people of New Mexico are terrified  
19 that plutonium will be released and vaporized by  
20 wildfire and destroy their land forever.

21 The other thing is a question which I  
22 realize won't be answered now, but I hope you will  
23 think about it. I'd like to know what studies have  
24 been done and what the results are on whether TRU  
25 packs would contain an explosion from within the TRU

1 packet.

2 So, for instance, they are very sturdy  
3 little things as I understand them, but if that --  
4 that drum had exploded before it got to WIPP and  
5 been placed in the underground? What would have  
6 happened if it had exploded inside the TRUPACT? How  
7 safe would that have been? Thank you.

8 MR. FOX: Thank you for your statement.  
9 Next we have Joni Arends from CCNS.

10 MS. ARENDS: Good afternoon members of the  
11 board. Thank you so much for being here. We are so  
12 grateful that you are here. And thank you to the  
13 DOE, the alphabet of people of LANL who were here  
14 this morning -- or this afternoon.

15 So I have five different comments, and  
16 I'll go through them quickly. We're behind.  
17 We're -- as a public, we're behind. The LANL SWEIS  
18 is behind schedule. So the 1979 SWEIS was the first  
19 SWEIS sitewide environmental impact statement. It's  
20 been -- it was 20 years before we got our second  
21 SWEIS, then the third SWEIS was done in 2008, nine  
22 years later. But now we've been waiting since 2018.  
23 We're almost five years behind schedule, and as you  
24 know these are ten-year review periods. Right now  
25 we're saying that the current SWEIS -- or the SWEIS



1 that they're working on right now will cover 15  
2 years, but there's no justification for expanding  
3 that time.

4 At the same time, the hazardous waste  
5 permit renewals are behind schedule as well for WIPP  
6 and for LANL. They both expired in 2020. They're  
7 already almost three years behind schedule. And so  
8 we need your help as a board, an oversight board,  
9 to -- to have more information, to have more  
10 conversations to be able to have more public  
11 hearings like this to talk about the concerns of the  
12 people.

13 And I -- I do want to address the fact  
14 that we really need transparency on these newly  
15 generated shipments as well as the legacy shipment,  
16 because it doesn't make sense that the information  
17 isn't readily available to the public under the  
18 hazardous waste permit. There's a waste -- the WIS,  
19 the waste something. Ms. Roberson may know what it  
20 is. And we should be able to have access to that.  
21 It has the volumes, it has the sources, and it  
22 should be readily available, and it needs to be  
23 readily available as soon as possible because of  
24 ongoing concerns about NNSA taking over shipments to  
25 WIPP as opposed to getting the legacy waste exhumed

1 and moved from Area G.

2 I also have a question. I appreciate the  
3 comments by Mr. O'Leary that I wanted to know about  
4 the maintenance of the tents, because sometimes we  
5 see at Area G that -- we see ripped tents, and the  
6 manufacturers of those tents have regular schedules  
7 for maintenance. And when we asked about that in  
8 2010 when the hazardous waste permit was up for  
9 renewal, there was -- nobody had any good answers  
10 for when the maintenance was done on the tents to  
11 protect them with the fire retardant on the outside  
12 and also for wind and sun damage.

13 So then I really have a question about the  
14 transition plan. When the treaty for the  
15 prohibition of nuclear weapons went into effect  
16 almost two years ago, there's really a question  
17 about a transition for LANL to come into compliance,  
18 for the US to come into compliance and the jobs that  
19 could be created as a result of the coming into  
20 compliance with the treaty to keeping track of all  
21 the radio, the weapons --

22 MR. FOX: One minute.

23 MS. WHEELER: Yes, sir. -- the weapons  
24 materials around the country.

25 And so one more question just with the --

1 all of the questions with the hiring process right  
2 now. Why are we expanding pit production when we  
3 can't even clean up the mess that's already been  
4 taking place? And also that there's jobs in the  
5 United States for coming into compliance with the  
6 treaty, and we need to move into that direction.

7 I want to thank you again very much.

8 MR. FOX: Thank you for your statement.

9 Next we have Arla S. Ertz from the Women's  
10 International League for Peace and Freedom.

11 MS. ERTZ: Thank you so much. As I said,  
12 my name's Arla Ertz. I'm from Chapter 53  
13 Albuquerque and Chapter 59 San Francisco, and the  
14 International League for Peace and Freedom, the San  
15 Francisco branch.

16 And unlike Mr. Magrath who spoke earlier,  
17 I'm sorry, I didn't understand the protocol here  
18 either. I didn't know questions wouldn't be  
19 answered. I have what should be an easy question  
20 for Mr. O'Leary, but I see that the Los Alamos and  
21 N3B, whatever that is, folks are no longer on the  
22 panel.

23 Here's the question. Mr. O'Leary, you  
24 mentioned earlier when asked about what you plan to  
25 bring to your work from your past experience at the

1 Idaho National Lab that you will be in consultation  
2 with your contact there about lessons learned that  
3 you can apply and also that you've already been in  
4 ongoing contact.

5 That's very good but on the vague side.  
6 Could you give us some specifics of substance about  
7 what you have been consulting about so far and what  
8 you hope to get enlightened about in the future?  
9 Thank you.

10 MR. FOX: Thank you for your statement.  
11 That's everyone who signed up. I think we have time  
12 for one more. Is there anybody else who would like  
13 to provide a statement?

14 So if anyone has written comments, please  
15 hand them to Tara Tadlock over at the table. She's  
16 in the back there. You can also email them to us at  
17 hearing@DNFSB.gov.

18 With that I'll turn it back over to the  
19 chair. Thank you.

20 CHAIRPERSON CONNERY: Thank you, Eric.  
21 Eric has one of the toughest jobs in the room. He  
22 has to be the one who keeps track of time. As you  
23 noticed, we weren't doing that to ourselves. I  
24 apologize to the public for having to keep track of  
25 time. I understand there's confusion about

1     answering your questions.

2             Again, please feel free to -- if you have  
3     statements that you want to make for the record, you  
4     can send those to us, get in contact with Tara.  
5     She's over at the table now if there's more  
6     information you'd like to share.

7             I believe our colleagues from EM, they are  
8     in the audience, so they might be able to entertain  
9     your questions as well after we conclude this part  
10    of the hearing.

11            With that, I actually want to turn to my  
12    fellow board members to make closing remarks. I'll  
13    start with Vice-Chair Summers.

14            MR. SUMMERS: Thank you, Chair Connery. I  
15    would just like to offer that LANL, N3B, Department  
16    of Energy, elected officials here today, and the  
17    concerned citizens of New Mexico as well as the  
18    public have made progress in addressing some of  
19    these transuranic waste issues at LANL.

20            Together I'm very hopeful, again hopeful,  
21    that we can make even more progress that will be  
22    made on behalf of our American citizens as well as  
23    our great nation. Thank you.

24            Thank you, Chair Connery.

25            CHAIRPERSON CONNERY: Thank you,

1 Mr. Summers.

2 Ms. Roberson?

3 MS. ROBERSON: Thank you, Chair Connery.

4 I want to thank you, the members of the  
5 public, that attended this hearing in person and  
6 virtually, and I want to thank those members that  
7 spoke today.

8 I'd like to thank you, Mr. Mikolanis,  
9 Ms. Lebak, and Mr. O'Leary, for your participation  
10 and contribution to this hearing session. Achieving  
11 risk reduction, implementing a comprehensive modern  
12 safety basis, and achieving fully qualified staff,  
13 Federal and contractor, are the keys to reliable  
14 high confidence, safe operations, and worker  
15 protection. I look forward to our next opportunity  
16 to discuss the department and N3B's progress towards  
17 those goals.

18 Thank you, Chair Connery.

19 CHAIRPERSON CONNERY: Thank you. I'd like  
20 to add my thanks to Mr. Mikolanis. Sounds like you  
21 have a fan club here. There's a short window. Take  
22 advantage of it.

23 I would like to thank Ms. Lebak and  
24 Mr. O'Leary for your contributions. I appreciate  
25 the open and honest dialogue they were able to have

1 today.

2 I think our colleagues show the challenges  
3 that they face, and they didn't make excuses for --  
4 for work that's been delayed.

5 I just want to make a comment about stop  
6 work. Stop work is a good thing. We're from safety  
7 organizations. When we see something that may go  
8 awry, we run into the unexpected, unknowns crop up,  
9 the real thing you do is stop work, and then you  
10 consider what the implications are moving forward.  
11 I just want to commend both N3B and EM-LA for taking  
12 that step. We don't want work to continue and  
13 safety be compromised. I understand that's a  
14 difficult concept. We never want production to be  
15 put over safety, even if that production means  
16 removing waste from the hill.

17 I also want to recognize the challenges of  
18 the workforce, keeping the workforce. We have some  
19 of the challenges of keeping a trained workforce.  
20 It's very important. It's difficult to train folks,  
21 particularly in the oversight field and safety  
22 field, and making sure they're trained is important.  
23 That goes to the conduct of operations and making  
24 sure there's safety.

25 I was encouraged. I know we had comments

1 about the underground waste versus the aboveground  
2 waste. If your workforce is untrained or untested,  
3 you want to do the easy stuff first, and then you  
4 want to make sure you do that well before you get to  
5 the harder stuff. I do understand why that decision  
6 was taken.

7 With regard to the safety basis documents,  
8 again, I -- that may seem to the public as something  
9 not as important as the actual work being done. As  
10 I have emphasized in my opening remarks, a safety  
11 basis document is the analysis of the work to be  
12 performed, the hazards associated with that work,  
13 and the safety controls to protect and mitigate the  
14 hazards. I recognize that you are working under an  
15 old safety basis, Ms. Lebak. I understand that  
16 doesn't necessarily mean you're not taking  
17 precautions, and you're looking at the activities  
18 that you're going to do, such as a glove bagging and  
19 drill and drain and you're making sure those are  
20 safe before you do them; however, we've been waiting  
21 since 2015 to see a safety basis, and between  
22 January 2020 and August 2022 you had 24 potential  
23 inadequacies of the situation, and you ended up with  
24 three -- sorry, six justification of operations.  
25 Well, that doesn't mean that you weren't working



1 safely. That is not ideal for the type of work  
2 being done. There is more work to be done.

3 We appreciate you're reaching back to  
4 people that have experience whether they're in Idaho  
5 or whether in Oak Ridge, whether headquarters. We  
6 hope that you'll continue to do so.

7 And we want to again thank everybody for  
8 being here, the citizens here today, those watching,  
9 and those who came to the microphone. At the end of  
10 the day, you're the taxpayers. You're the people  
11 that live here. The grandmothers and grandchildren  
12 are here. We respect you have an important voice in  
13 what happens in your communities.

14 At this point in time, we are going to  
15 finish session one, and I move to adjourn the  
16 hearing until four o'clock, where we will come and  
17 resume and have a conversation about NNSA. Thank  
18 you all.

19 (Recess was taken from 2:30 to 4:00.)

20 CHAIRPERSON CONNERY: First of all, I'd  
21 like to welcome everybody who is back in this  
22 afternoon's session earlier with our colleagues from  
23 EM-LA and N3B and for those of you who are watching  
24 by video, I know when we came to public time, our  
25 colleagues were here. They just chose to sit in the

1 audience during that time period. They did stay and  
2 actually had some good dialogue with some of our  
3 citizens after that session. So I wanted to make  
4 sure everybody was aware of that.

5 Also for housekeeping, since our NNSA and  
6 colleagues from LANL weren't here earlier, we have  
7 exhibits that we'll be showing on the screen that  
8 we've entered into the record. There's 37 of them.  
9 And we also have posted an acronym listing and  
10 glossary key terms to help the public understand  
11 our -- the conversations this afternoon.

12 Those documents, as well as all of the  
13 exhibits, are available on our website and are  
14 accessible through the QR code. If you folks at  
15 home want to follow along, that's how you do that.

16 Again, I just want to thank everybody for  
17 coming back. I don't recognize any other public  
18 officials, except thank you Councilman Hansen,  
19 Patricia Hansen, for returning. Appreciate that.  
20 And Anna Hansen is the county commissioner for  
21 District 2. She was with us this afternoon as well.

22 If there are any other elected officials  
23 that I should be recognizing -- seeing none, I'm  
24 going to call us to order for session two. Those of  
25 you who missed our introduction, my name's Joyce

1 Connery. I'm the chair of the DNFSB board. With me  
2 are Vice-Chair Tom Summers and Board Member Jessie  
3 Roberson. We also have Chris Roscetti, our  
4 technical director, and Eric Fox, our associate  
5 general counsel. Our goals for this evening's  
6 sessions are to gather information on the production  
7 activities to be conducted at the plutonium  
8 facility, the nuclear safety risks that the National  
9 Nuclear Security Administration, or NNSA, has  
10 accepted and the state of planned safety  
11 improvements to the safety system infrastructure and  
12 safety programs.

13           Once we finish our questions session from  
14 NNSA, we'll hear from any interested members of the  
15 public at approximately 8:45 this evening. If you'd  
16 like to speak during the public comment section and  
17 did not contact us, sign up at the sheet by the  
18 door. We encourage you to do so.

19           If you have any comments or anything that  
20 you would like to submit for the record, you can do  
21 that as well. I believe the record will be open  
22 until December 16th, so there will be time to do  
23 that if you want to share.

24           For these next two sessions, we're  
25 thrilled to be joined tonight by our counterparts

SANTA FE OFFICE  
119 East Marcy, Suite 110  
Santa Fe, NM 87501  
(505) 989-4949  
FAX (505) 843-9492



MAIN OFFICE  
201 Third NW, Suite 1630  
Albuquerque, NM 87102  
(505) 843-9494  
FAX (505) 843-9492  
1-800-669-9492  
e-mail: info@litsupport.com

1 from the NNSA who have supported us and our staff  
2 throughout the lead-up to this hearing. We  
3 appreciate this cooperation from NNSA, as it's a  
4 reflection of the healthy working relationship that  
5 currently exists between our agency and NNSA. I  
6 would say the relations were adversarial a few years  
7 back, but we mutually recognized the need for more  
8 constructive relationship and worked together to  
9 implement a memorandum of understanding earlier this  
10 year, which has helped to improve our relationship.

11 We look forward to continuing this dynamic  
12 as we work to solve some of the defense nuclear  
13 complex's most intractable challenges, including  
14 those here from the Los Alamos National Laboratory.

15 Like I said during the session, we're  
16 looking to understand the safety posture of LANL's  
17 plutonium facility, called PF-4. As we will  
18 discuss, PF-4 is vital to our national security, and  
19 it is imperative that nuclear work in this facility  
20 be accomplished safely and securely.

21 This will present NNSA with challenges,  
22 first and foremost, because PF-4 was neither  
23 designed nor historically operated as a large-scale  
24 production facility. PF-4 is now over 40 years old,  
25 and it is showing its age in many ways, like many of

1 us. This is likely not news to anyone in this room.  
2 We have explored these topics in the public forum  
3 many times over, including a public hearing in 2017.

4 Despite this age, NNSA is relying on PF-4  
5 to continue its mission work and even take on  
6 significant additional scope for the next several  
7 decades.

8 A great deal of work is needed both in  
9 terms of physical upgrades and culture shifts to  
10 change the paradigm from laboratory-scale research  
11 and development to full-scale pit production.  
12 Tonight we're hoping to hear about the progress NNSA  
13 has made on the fronts.

14 First is physical upgrades. The system we  
15 will spend the most time discussing tonight is the  
16 active confinement ventilation system. There's been  
17 a long history of communications back and forth  
18 between the board and NNSA on the subject. For more  
19 than a decade NNSA had planned to make upgrades to  
20 the components such that the system as a whole could  
21 be credited as a safety class control, which means  
22 it can be counted upon to reliably protect members  
23 of the public in the even of a bounding earthquake.

24 In March of this year, NNSA informed the  
25 board that it no longer seeks these upgrades to

1 achieve a safety class system. One of our  
2 objectives tonight is to understand why.

3 This hearing is not just about the  
4 ventilation system. Many other aspects of safety  
5 related infrastructure, such as aging and other  
6 deficiencies, are also in need of attention.

7 We've been talking about the fire  
8 suppression system as well as the gloveboxes in  
9 which workers perform operations with nuclear  
10 materials for as long as we've been talking about  
11 ventilation.

12 Apart from the physical changes to the  
13 facility, PF-4 will also experience a step change in  
14 the operational scope. PF-4 will be required to  
15 process more nuclear material, with more workers,  
16 than ever before. NNSA and its contractor, Triad  
17 National Security, will have their hands full in  
18 attracting, training, and retaining that workforce  
19 necessary to accomplish the mission safely.

20 And this mission is drastically increasing  
21 in both the near-term and the long-term. In August  
22 of this year, we sent NNSA a letter detailing our  
23 concerns with the expansion of operations with  
24 heat-source plutonium. In addition, we are looking  
25 to understand NNSA's perspective as to how it will

1 expand pit production operations in light of the  
2 fact that the facility still relies heavily on a  
3 passive confinement strategy for nuclear materials,  
4 a topic from another letter of ours that our staff  
5 will speak to separately.

6 So as you can see, we have a lot of ground  
7 to cover and many complex topics to discuss. To  
8 help facilitate this discussion today, we've  
9 prepared exhibits to be displayed on the screen for  
10 the benefit of the members of the public. Again, we  
11 have also posted a listing of acronyms and a  
12 glossary of key terms to help the public better  
13 understand our discussions this evening. These  
14 materials are available on our website, and you can  
15 use the QR code to provide that.

16 So at this time I want to turn to my  
17 fellow board members for their opening remarks. I  
18 will start with Vice-Chair Summers.

19 MR. SUMMERS: Thank you, Chair Connery.  
20 Hello and good evening. For those of you who missed  
21 the first session, let me reintroduce myself. My  
22 name is Tom Summers. I am the vice-chair of the  
23 Defense Nuclear Facilities Safety Board. I'm  
24 excited to be here today and want to welcome and  
25 thank the panelists and the interested public for

1 attending this hearing today.

2 Similar to the first session, in my  
3 statement, I will cover the positive developments  
4 that we are seeing at PF-4 and the topics that we  
5 have interest in but do not have the time to address  
6 tonight.

7 So regarding the good news, I'm happy to  
8 note that the amount of transuranic waste staged  
9 outside of PF-4 has been significantly reduced over  
10 the last few years. This is important, because  
11 unlike other storage options available at the  
12 laboratory, outdoor storage locations do not provide  
13 any additional protection in the event of release of  
14 radioactive material from a waste container.

15 Structures such as PF-4, or the transuranic waste  
16 facility, include fire suppression and confinement  
17 systems to help confine or mitigate potential  
18 radiological release events like the accidents  
19 experienced at WIPP in 2014 and Idaho National  
20 Laboratory in 2018.

21 The laboratory has also completed several  
22 structural upgrades and earthquake studies for the  
23 plutonium facility. This increases confidence in  
24 the ability of the building to survive a major  
25 earthquake.



1           Speaking of upgrades, NNSA's contractor,  
2 Triad National Security, is in the process of  
3 upgrading the plutonium facility safety bases to  
4 meet modern DOE requirements. This upgrade is  
5 scheduled to be submitted to NNSA for approval next  
6 year. This upgrade is important because the modern  
7 safety standards have improved clarity with respect  
8 to safety expectations and requirements such that  
9 following them provides added insurance that the  
10 facility can be safely operated.

11           I also want to highlight the strides that  
12 Triad and NNSA field office have made in hiring new  
13 personnel; however, we also know that they have a  
14 long ways to go to meeting their staffing goals,  
15 both for operational staff and for safety personnel.

16           Finally, I would like to mention the  
17 topics that the board had continued interest in but  
18 will not be able to cover tonight during this  
19 session.

20           Number one, on-site transportation, which  
21 was the subject of a recent board letter. We had  
22 received the Department of Energy's response, and we  
23 are currently evaluating it.

24           Number two, other NNSA facilities at  
25 Los Alamos including PF-400, also known as a

1 radiological laboratory utility office building, or  
2 ROO-lob, and the transuranic waste facility.

3 Number three, emergency drills and  
4 exercises.

5 And finally, number four, the LANL  
6 environmental impact statement. We know that many  
7 of you are interested in the LANL environmental  
8 impact statement, but the board is not participating  
9 in this process.

10 Thank you, Ms. Connery, for giving me the  
11 opportunity to speak. This concludes my statement.

12 CHAIRPERSON CONNERY: Thank you,  
13 Mr. Summers.

14 Ms. Roberson, would you like to make  
15 remarks?

16 MS. ROBERSON: Thank you, Chair Connery, I  
17 will bypass opening comments at this time.

18 CHAIRPERSON CONNERY: Before we hear from  
19 NNSA, I'm going to ask our technical director, Chris  
20 Roscetti, to give us a statement describing the  
21 views of our staff and concepts that we will be  
22 talking about this evening. Turn at this time over  
23 to Mr. Roscetti.

24 MR. ROSCETTI: Thank you. I appreciate  
25 the opportunity to discuss PF-4 and Los Alamos

1 National Laboratory.

2 I want to provide background information  
3 to assist the public in understanding today's  
4 hearing. PF-4 is the nation's primary plutonium  
5 processing facility, meaning that it is responsible  
6 for producing plutonium components, called pits or  
7 nuclear weapons, disposing of excess plutonium, and  
8 fabricating components for other entities such as  
9 NASA.

10 To understand how to safely operate the  
11 facility while completing this mission, NNSA's  
12 contractor, Triad National Security, prepares  
13 documents called a safety basis. In the safety  
14 basis, Triad identifies potential accidents and  
15 evaluates the consequences of those accidents. For  
16 higher consequence accidents, Triad will then  
17 identify safety controls to prevent or mitigate the  
18 consequences of those accidents.

19 At PF-4, the most challenging accident is  
20 a severe earthquake that also causes a fire. The  
21 calculated dose consequences from this bounding  
22 accident scenario would exceed the Department of  
23 Energy's evaluation guideline of 25 rem total  
24 effective dose to the offsite public.

25 By the department's own requirements,

SANTA FE OFFICE  
119 East Marcy, Suite 110  
Santa Fe, NM 87501  
(505) 989-4949  
FAX (505) 843-9492



MAIN OFFICE  
201 Third NW, Suite 1630  
Albuquerque, NM 87102  
(505) 843-9494  
FAX (505) 843-9492  
1-800-669-9492  
e-mail: info@litsupport.com

1 exceeding the evaluation guideline means that safety  
2 class controls or controls relied upon to protect  
3 the public must be put in place. These controls  
4 must be constructed to rigorous criteria to ensure  
5 they will perform their safety functions when  
6 necessary. The primary control that NNSA relies  
7 upon to lower the calculated dose consequence of  
8 PF-4 is acid confinement, which uses the building  
9 structure to reduce the amount of radioactive  
10 material released in the environment.

11 This concept is illustrated in Exhibit 10.  
12 Any doors, cracks, or other openings in the facility  
13 are pathways for radioactive material to escape.  
14 The fraction of airborne radioactive material that  
15 escapes through these pathways is referred to as the  
16 lead path factor.

17 For the bounding earthquake and fire  
18 event, NNSA determined that passive confinement  
19 control reduces the calculated dose consequence to  
20 slightly below the DOE evaluation guideline. But  
21 these calculated dose consequences are dependent on  
22 PF-4's external doors only being open for a total of  
23 five minutes to evacuate the entire PF-4 workforce.

24 NNSA also plans to upgrade additional  
25 safety class engineered controls, including the fire

1 suppression system to further mitigate the release.  
2 According to NNSA's March 2022 letter to the board,  
3 NNSA determined that the combined effect of these  
4 additional controls will reduce the mitigated dose  
5 consequence to about seven rem once they are  
6 complete. However, the PF-4 safety basis identifies  
7 multiple existing deficiencies in the ventilation  
8 and fire suppression systems that may prevent them  
9 from performing their intended functions during an  
10 accident. The board members plan to explore this  
11 further today.

12 I will talk about equipment performance in  
13 an earthquake using the example in Exhibit 11.  
14 Equipment designated as performance category three  
15 or PC-3 is considered able to reliably perform a  
16 safety function through a bounding earthquake. At  
17 the next lower level, the systems and components  
18 designated as PC-2 are analyzed and designed to  
19 operate the following or less severe earthquake.

20 Sometimes equipment requires upgrades to  
21 ensure it can be relied upon at the designated  
22 category. For example, in Exhibit 11, we can see  
23 additional bracing added to security electrical  
24 equipment. On the left, we can see electrical  
25 cabinets before upgrades. On the right, the yellow

1 arrows point to additional bracing for a seismic  
2 event.

3 Exhibit 12 shows some of the history of  
4 correspondence between the board and the department  
5 regarding PF-4 during the past two decades. In  
6 recommendation 2004-2, active confinement systems,  
7 the board outlined the drawbacks of relying upon  
8 passive confinement systems. PF-4 is the only major  
9 NNSA facility with plutonium dispersal hazards to  
10 rely upon passive confinement as the primary  
11 credited safety control to protect the public.

12 While passive confinement provides some  
13 mitigation in the case of an accident, active  
14 confinement ventilation systems mitigate accidents  
15 in a different and more effective way. These  
16 systems use fans to ensure that air moves into the  
17 facility through doors and leak paths, not out. The  
18 system fans direct contaminated air through high  
19 efficiency particulate air filters, or HEPA filters,  
20 capturing the radioactive contaminants.

21 PF-4's active ventilation system is  
22 classified as PC-2, while the passive confinement  
23 systems is classified as PC-3.

24 Later on the timeline, the board issued  
25 recommendation 2009-2. Los Alamos National

1 Laboratory plutonium facility seismic safety. This  
2 recommendation described deficiencies in the safety  
3 basis of PF-4 specifically. The board's major  
4 concern was that the calculated dose consequences  
5 for the bounding seismic event were much higher than  
6 the DOE evaluation guidelines even after the  
7 application of safety controls. In response to this  
8 recommendation, the Secretary of Energy committed to  
9 a strategy to ensure that the mitigated dose for  
10 bounding earthquakes of PF-4 will not exceed the  
11 evaluation guideline. This strategy involves  
12 strengthening the facility structure.

13 Pictured in the upper half of Exhibit 12  
14 are seismic upgrades being completed over the years,  
15 including carbon fiber reinforcement of structural  
16 concrete and, more recently, columns undergoing  
17 seismic testing.

18 NNSA originally planned to upgrade the  
19 active confinement ventilation system to be safety  
20 class and PC-3, resolve seismic deficiencies for the  
21 firewater loop, and replace the aging fire alarm  
22 system as part of the TA-55 Reinvestment Project  
23 Phase III. NNSA eventually shifted strategies and  
24 elected to pursue piecemeal upgrades to components  
25 in the ventilation system but with the same planned

1 end state.

2           However, as the chair discussed in her  
3 statement, in March of this year NNSA informed the  
4 board that it no longer seeks these upgrades to  
5 achieve this safety class PC-3 system.

6           In a November 2019 board letter, and again  
7 in Technical Report 44, LANL plutonium facility leak  
8 path factory methodology, the board identified  
9 concerns with PF-4's accident analysis methods.  
10 These calculate how much radioactive material  
11 escapes PF-4 in the bounding accident.

12           There are many complicated assumptions in  
13 the leak path factor calculations, such as the  
14 amount of time that the exit doors will remain open  
15 while workers are evacuating the facility.

16           Finally, on August 11th, 2022, the board  
17 issued two letters outlining the board's concerns  
18 regarding leak path factor calculations and NNSA's  
19 acceptance of higher risks using exigent  
20 circumstances process to package large quantities of  
21 heat-source plutonium. The board members will  
22 explore these topics later today.

23           This concludes my statement.

24           CHAIRPERSON CONNERY: Thank you,  
25 Mr. Roscetti. I know that was a lot. We want to



1 make sure we set the stage so that everybody  
2 understood the direction of the questions and how we  
3 were going to approach this today.

4 So I would like to introduce our NNSA  
5 panel today. So joining us are Administrator Jill  
6 Hruby; James McConnell, associate deputy principal  
7 administrator NNSA; Mr. Ted Wyka, manager Los Alamos  
8 field office; Dr. Thom Mason, laboratory director at  
9 Los Alamos.

10 The board set aside a few minutes for NNSA  
11 to provide an opening statement, so I'd like to  
12 recognize the administrator for her opening  
13 statement before we proceed to our questions.

14 MS. HRUBY: Good afternoon. Thank you,  
15 Chair Connery, Ms. Roberson, and Mr. Summers for  
16 your comments, and welcome to all the members of the  
17 public here and virtually attending today.

18 I appreciate the opportunity to be back in  
19 Santa Fe and have the opportunity to speak on behalf  
20 of the NNSA to address NNSA's mission priorities and  
21 associated plans at Los Alamos.

22 First, let me start by thanking the  
23 Defense Nuclear Facility Safety Board and the staff  
24 for their professionalism and commitment to nuclear  
25 safety. I'm certain that the work that we do at

1 NNSA is better because of your input. While we'll  
2 not necessarily agree on all matters, there's no  
3 question in my mind about that.

4 As noted in the recently released Biden  
5 administration nuclear posture review, we find  
6 ourselves at a time in history when the United  
7 States needs to have a strong nuclear deterrent  
8 coupled with leadership and arms control and nuclear  
9 nonproliferation.

10 The priorities at Los Alamos and  
11 throughout the nuclear facility enterprise are  
12 responsive to those laid out in the nuclear posture  
13 review. NNSA's work to support nuclear deterrents  
14 has two primary and interrelated priorities. One is  
15 to refurbish and modernize our nuclear stockpile,  
16 and the other is to recapitalize and revitalize the  
17 infrastructure needed for both the stockpile  
18 modernization programs and related science and  
19 nonproliferation missions.

20 These priorities are interrelated because  
21 the timing for the infrastructure work is driven by  
22 the stockpile requirements in the near term, and in  
23 the long-term, the goal is to create a resilient and  
24 adaptive production enterprise. A resilient and  
25 adaptive enterprise would not have single points of

1 failure and would be able to be scaled either up or  
2 down as world conditions derive US policy changes.

3 I would like to make a few specific  
4 comments about pit production at Los Alamos since it  
5 is central to NNSA priorities and to this meeting  
6 today.

7 The Los Alamos National Laboratory  
8 Plutonium Facility 4, commonly referred to as PF-4  
9 within Technical Area 55, or TA-55, is currently the  
10 only facility authorized to produce plutonium pits  
11 in the United States.

12 This makes Los Alamos and our work there  
13 vital to NNSA's requirement to produce a minimum of  
14 80 plutonium pits per year as close to 2030 as  
15 possible.

16 The specific objective at Los Alamos is to  
17 be able to reliably produce at least 30 pits per  
18 year. We are building another facility at the  
19 Savannah River site to produce a minimum of 50 pits  
20 per year reliably.

21 Our efforts to prepare PF-4 for its  
22 production mission are emblematic of our efforts  
23 across the nuclear security enterprise, carrying new  
24 and revitalized infrastructure capable of handling  
25 our expansion requirements with improved safety

1 equipment and resilience measures. In this way, we  
2 are fulfilling our obligation to meet mission  
3 requirements with our commitment to be good  
4 employers, strong stewards of the environment, and  
5 close partners with local communities.

6 In addition to investing and upgrades to  
7 PF-4 safety equipment to further support safe  
8 operations, we are undertaking a complete revision  
9 of the PF-4 document safety analysis that will  
10 provide updated analysis to validate safety  
11 controls.

12 Of course, in addition to the  
13 infrastructure and safety upgrades, we need a  
14 dedicated, qualified, and in some cases specialized  
15 workforce to achieve our mission and the best  
16 operational performance, we have made recruitment  
17 and retention a top priority so that we can meet our  
18 obligations today while building institutional  
19 knowledge in preparation for the challenge of  
20 tomorrow.

21 Overall, while we face a challenging  
22 mission, we feel we are headed in the right  
23 direction. Our intent is to follow all applicable  
24 safety, security, and environmental rules and  
25 regulations, seek continuous improvement, and meet

1 our national security obligations.

2 Thank you very much, and we look forward  
3 to the rest of our discussion.

4 CHAIRPERSON CONNERY: Thank you,  
5 Ms. Hruby. We're going to add that statement to our  
6 record, and of course if you have any other  
7 documentation or information you'd like to add to  
8 the record, we'll keep the record open until  
9 December 16th. If anything else comes up during the  
10 hearing that prompts you to do so, let us know.

11 So with the time remaining, of course, the  
12 board has a couple of questions while we're here.  
13 I'm going to exercise my prerogative as chair to ask  
14 the first question, and I'm going to start the  
15 session with the question to the administrator,  
16 because it has a lot to do with what you said in  
17 your opening statement and a holistic discussion of  
18 NNSA's national security mission's pit production,  
19 heat-source plutonium processing and ensuring a safe  
20 deterrent.

21 So NNSA is planning for a portion of  
22 important national security work to be accomplished  
23 in PF-4, as we've already discussed, and PF-4 is  
24 already 44 years old, and this work is expected to  
25 extend the need for PF-4 for at least several more

1 decades. As of now PF-4 hasn't given up a mission,  
2 but NNSA has other facilities that could potentially  
3 handle plutonium processing after some upgrades.  
4 For example, facilities of Nevada National Security  
5 Site or the new pit production facility we were  
6 discussing at Savannah River. Exhibit 13 shows the  
7 facilities and provides some information about the  
8 proximity to the public.

9 Additionally, I just want to point out the  
10 highest hazard operations in PF-4 aren't necessarily  
11 pit production, it's associated with the heat-source  
12 plutonium rather than pit manufacturing the  
13 consequences of an accident involving heat-source  
14 plutonium about 200 times worse to individuals than  
15 plutonium involved in pit manufacturing.

16 As you can see from Exhibit 14, in our  
17 2017 hearing Mr. McConnell discussed the concept to  
18 remove these activities and other high-risk  
19 activities and put them in new modular facilities  
20 with a modern nuclear safety system. This from a  
21 safety standpoint makes a lot of sense, but I think  
22 it's potentially cost prohibitive.

23 With that in mind, my question for you,  
24 Administrator, about what -- as the administrator  
25 across the enterprise, have you considered the

1 possibility of transferring some of the work beyond  
2 the scope already in Savannah River to other  
3 locations to alleviate the burden of PF-4, and, you  
4 know, based on the commentary from 2017, does NNSA  
5 have any current thinking on moving the plutonium  
6 mission or other high-hazard work to new facilities,  
7 or is that outside of the scope? Thank you.

8 MS. HRUBY: Okay. Thank you for the  
9 question. It's very well-posed. So let me make  
10 some comments about -- so you have shown the sort of  
11 three options of existing facilities that we would  
12 have to do plutonium work, and in fact we do  
13 plutonium work at all of those facilities.

14 The -- what we -- previous administrations  
15 may well consider decisions about the two-site pit  
16 production strategy. One of the things we know is  
17 that we need to move the -- we feel those were good  
18 decisions, and we need to move on with those  
19 decisions and endorse that, and the Secretary of  
20 Energy endorsed that approach. That is our primary  
21 focus in these facilities, is to make -- and any of  
22 our plutonium facilities is to make sure that we're  
23 able to make new pits at the rate we need to.

24 There are other plutonium activities, and  
25 they come, of course, with the risk of handling

1 plutonium.

2           We have -- I've worked closely with the  
3 lab. We have -- we are looking at how to scope all  
4 of that so it works holistically. I think we've  
5 made great progress, looking at the program  
6 holistically as opposed to one mission at a time.  
7 We are not today planning or funding additional  
8 facilities to handle heat-source plutonium. This is  
9 the facility -- you know, again, it is in the best  
10 interest of the United States, in my opinion, to not  
11 proliferate plutonium facilities, to use the  
12 plutonium facilities we have as efficiently and  
13 effectively and as safely as possible.

14           Our judgment is today that heat sources on  
15 PF-4 make sense from that perspective. There's a  
16 lot of things that are going to happen over the next  
17 couple of decades, and I couldn't predict whether,  
18 you know, we need to relook at that, but today we're  
19 trying to utilize the facilities we have as  
20 efficiently, effectively, and safely as possible,  
21 and that's -- and that's the basis for the decisions  
22 that we made in this administration and previous  
23 administrations.

24           CHAIRPERSON CONNERY: Thank you. That's  
25 exactly the direction we were looking for.



1           So I'm going to turn the questioning over  
2 to Ms. Roberson, ask if she has any questions.

3           MS. ROBERSON: Thank you, Chair Connery.

4           Recently NNSA accepted a mission, which  
5 you've referred to already, Administrator, a mission  
6 for PF-4 that involved receiving large quantities of  
7 heat-source plutonium that requires repackaging.  
8 Triad has conservatively calculated that dose  
9 consequence from accidents involving this material  
10 are above what is normally allowed per DOE safety  
11 standards.

12           NNSA has accepted this risk using the  
13 process known as exigent circumstances. This  
14 activity supports space exploration projects such as  
15 the Perseverance Rover, shown on the left side of  
16 Exhibit 15.

17           On the right side of the exhibit, we see  
18 fuel storage out of containers. These are welded  
19 containers that Triad workers will repackage the  
20 heat-source plutonium into for safe storage. The  
21 board discussed this planned activity in a recent  
22 letter to the Secretary of Energy. We pointed out  
23 that NNSA and Triad could have made different  
24 decisions, such as making upgrades to engineered  
25 safety systems in PF-4 to reduce safety risks

1 associated with this activity.

2 So my question is to you, Mr. McConnell,  
3 first. NNSA should take -- we believe NNSA should  
4 take all feasible actions to avoid the need to apply  
5 the exigent circumstances process. While it would  
6 have been difficult for NNSA to use the exigent  
7 circumstances process for this activity, NNSA could  
8 have reduced safety risks if it had coordinated the  
9 activity better.

10 With your strong leadership role in safety  
11 in your position in safety at NNSA, how did you  
12 balance risk with completing this activity?

13 MR. McCONNELL: Thank you. A very good  
14 question. First off, by its very name, conditions,  
15 we completely agree with you that this is a decision  
16 in the regime that should not be needed very often,  
17 and it is intentionally set up to be run for -- the  
18 name isn't particularly useful to tell folks what it  
19 is, is to add additional layers of review, more  
20 senior review, to make sure that all options are  
21 available in these rare instances where an operation  
22 would exceed the evaluation guideline are duly  
23 considered, and I want those additional layers of  
24 review.

25 Your point is well-taken, obviously, that

1 we would like to have systems and controls in place  
2 at PF-4, at any facility that accepts hazardous  
3 work, to make sure that there is a margin between  
4 what -- what our safety systems can control within  
5 evaluation guidelines and the hazards that we  
6 accept. That's our goal at PF-4. That's our goal  
7 everywhere. That -- the problem we faced here was  
8 one of timing, that the time needed to deal with a  
9 hazard which -- I won't get into additional detail,  
10 but there was a safety benefit to -- to timely  
11 processing of this hazard against the time it takes  
12 to create the physical controls that would allow us  
13 to operate within our normal safety bases.

14 We looked at the operation at the  
15 laboratory and the field office in particular, the  
16 normal risk acceptance methodology, take every  
17 opportunity to use not only the controls that are  
18 physically available in PF-4 but what we call  
19 administrative controls, which are additional  
20 controls that we can put in place that affect  
21 processes and things like material at risk or how  
22 much material could be processed, would be available  
23 to be involved in a hazardous event at any one time,  
24 put controls on those things to use the full suite  
25 of our ability to mitigate hazards but still meet

1 the timeline because of the safety benefit of acting  
2 quickly.

3 So we made the right decisions. I was one  
4 of the people that approved the exigent conditions  
5 to go forward with this. It is at an enterprise  
6 level at the entire biggest picture, the least  
7 risky, best safety activity considering all of the  
8 Department of Energy. But once again emphasizes to  
9 us that we can't let up on our effort to  
10 continuously improve the safety both in terms of the  
11 physical controls, our administrative controls at  
12 PF-4 and every one of our facilities. I would like  
13 to say, but I can't, that this would be the last  
14 time we use exigent conditions.

15 But it certainly, you know, puts in other  
16 elements into our motivation to continue to do these  
17 improvements, and we'll talk more about the state of  
18 our current improvement at PF-4 throughout this  
19 current discussion.

20 MS. ROBERSON: Thank you, Mr. McConnell,  
21 and frankly, Administrator. You know this better  
22 than I do, but I'm guessing this won't be the last  
23 emergent mission that we face.

24 And so one of our questions is are there  
25 lessons learned in consideration as a result of this

1 experience that may allow you to have -- be able to  
2 make better decisions the next time?

3 MS. HRUBY: Thank you. What I would say,  
4 you know, by definition, surprises are surprises,  
5 but the concept that we're working towards, that I  
6 mentioned in my opening statement, that's also in  
7 the nuclear posture review of a resilient  
8 infrastructure really is, in part, about this.

9 What can we do to create -- as we're  
10 spending a significant amount of money, as we're  
11 revitalizing our facilities, can we think about how  
12 to be more resilient not only to mission but to  
13 safety and security and other issues that -- and so  
14 we are -- we are working hard to try to think more  
15 forward about the things that we do.

16 What we've learned in the enterprise is  
17 what we do today is around for 50 years. You can  
18 pick a number. You know, sometimes 40, sometimes,  
19 you know, 70, but it's around a long time, and so we  
20 really need to think not only in the near-term but  
21 in the long-term about the potential uses of the  
22 facilities, and that's what we're trying -- that's  
23 my -- that's how we're trying to respond to these  
24 surprises.

25 MS. ROBERSON: I appreciate that. And

1 although you -- you weren't here, we harken back to,  
2 as Mr. Roscetti went through kind of the historical  
3 perspective, the discussions and commitments that  
4 were made about upgrading gloveboxes and how that  
5 tended to wane and probably would have put you in a  
6 much better position now. So all we can do is try  
7 to do better. I appreciate that. Thank you.

8 Thank you, Chair Connery.

9 CHAIRPERSON CONNERY: Thank you. Along  
10 those lines of resilient infrastructure, obviously  
11 the more robust you build, the more you have safety  
12 class systems. The more these items come up, you're  
13 ready to deal with them and not have to put yourself  
14 in a higher risk position such as the glovebox  
15 upgrades that we've been talking about for a number  
16 of years now that Ms. Roberson just discussed.

17 So as we're discussing how NNSA could  
18 reduce the risk at PF-4 operations, one major step  
19 we've been talking about is upgrading the active  
20 confinement ventilation system. LANL modeled the  
21 effects of these upgrades and found that the doses  
22 to the public would be substantially smaller if this  
23 were done.

24 As Mr. Roscetti indicated earlier, NNSA is  
25 currently relying on a passive confinement strategy

1 for earthquake accidents at PF-4. PF-4 is something  
2 of an outlier in this regard. Other DOE facilities  
3 tend to use active confinement ventilation systems,  
4 not passive, as a safety control for the bounding  
5 earthquake scenarios.

6 Previously, NNSA's plan had been upgraded  
7 to active confinement ventilation system to safety  
8 class. At one point they even had a line item  
9 funding for doing so, but the funding sources  
10 changed. And this was still NNSA's plan as recently  
11 as 2020 when Mr. McConnell briefed the board as  
12 shown in Exhibit 16.

13 But as we noted in March 2022, the safety  
14 class is more of a goal. And we understand that  
15 budget situations change and priorities change, but  
16 we, Administrator, we're concerned about the lack of  
17 safety class active ventilation system, given the  
18 work that's going to be performed and potential work  
19 that could be performed as we just outlined with the  
20 exigent circumstances situation.

21 Can you outline the change in position and  
22 why you feel confident you don't need a safety  
23 upgrade at this point?

24 MS. HRUBY: Let me start. I think it  
25 would also be good for Thom Mason to make some

1 follow-on comments about this.

2 With respect to the active confinement  
3 ventilation and passive confinement ventilation,  
4 what we are trying to do is balance the -- the best  
5 use of taxpayers' dollars, our ability to deliver,  
6 and at costly enterprise, right? So we -- I think  
7 the calculations that have been done, the thought  
8 that has gone into this, we may be -- this -- a  
9 bit -- our approach is a bit of a hybrid system,  
10 actually, and maybe Thom can explain that more.

11 So we are going to provide things that  
12 help us move later towards active confinement  
13 ventilation but continue to move forward with the  
14 passive confinement with other upgrades that we feel  
15 are significantly increasing the safety in an  
16 adequate way.

17 And again, you know, lots to balance here,  
18 but, you know, our approach is to make sure that we  
19 can -- that we can do this balancing act that keeps  
20 us as safe as possible, best uses of, you know,  
21 public dollars, and balance our budget across the  
22 entire enterprise, not all in one facility.

23 And so with that, maybe Thom can spend a  
24 little bit of time explaining more about how we made  
25 this decision.



1 DR. MASON: Yeah, happy to, and Ted may  
2 want to chime in as well. I think it's important to  
3 keep in mind that PF-4 relies on both passive and  
4 active confinement systems, and both of which meet  
5 the DOE orders and standards. And I know the board  
6 understands this, but for members of the public, you  
7 know, within the hierarchy of controls, actually,  
8 whenever possible we like to take advantage of  
9 passive systems, because they rely on fundamental  
10 physical principles like gravity and natural  
11 convection to do their jobs.

12 With active systems, you have to go to  
13 great lengths to make sure they remain operable. We  
14 use active systems when the passive systems by  
15 themselves are not adequate, but there is a  
16 preference to rely on passive systems as a superior  
17 mechanism for ensuring safety.

18 And, you know, we have -- we are working  
19 now and will be shortly completing an increase in  
20 the seismic performance of the fire suppression  
21 system, which is going to significantly reduce the  
22 offsite dose, which is the thing that we're seeking  
23 to mitigate and, in fact, provides for us a very  
24 effective and also much more rapid improvement in  
25 that -- in that safety consequence.

1           So as the administrator said, really the  
2 goal here is to identify the most effective,  
3 shortest path to significant improvements in safety,  
4 and we believe the fire suppression system upgrade  
5 represents a good portion of that.

6           In addition, the uptake to the DSA that  
7 has been mentioned previously will be able to take  
8 into account a number of other improvements that  
9 have occurred within the facility which should  
10 further, you know, mitigate that -- that offsite  
11 dose.

12           So our approach is to try and, as I said,  
13 in as timely a way as possible, achieve the maximum  
14 safety benefit and make sure that the significant  
15 investments that are being made are targeted the way  
16 that most -- most effectively accomplishes that  
17 task.

18           And I think Ted may also want to add a few  
19 comments. Obviously at the field office we've had a  
20 lot of discussion with this topic.

21           MR. WYKA: Thank you, Thom. And yeah, I'd  
22 sort of like to add in -- sort of tie into two --  
23 the first two questions together, too.

24           As you stated, the PF-4 is a super  
25 important facility for the next several decades, and

1 we have six program -- major plutonium mission of  
2 records, you know, being done in PF-4 and as a  
3 safety basis approval authority of a field office  
4 manager for this activity.

5 You know, I look at each individual vision  
6 for a safety basis as well as the holistic. And  
7 with respect to, you know, confinement ventilation,  
8 PF-4 over the last decades, we've improved and made  
9 significant investments to upgrade the structure of  
10 PF-4 and for seismic events, as Thom mentioned, not  
11 only passive and active confinement systems that  
12 meet DOE orders and standards, specifically the  
13 safety class passive confinement system, as well as  
14 the safety active confinement ventilation system, as  
15 Thom pointed out, the upgrades to the fire  
16 suppression safety class as well as the pit  
17 production glovebox safety class. But key in all  
18 this is the work that we're doing now to upgrade the  
19 PF-4 document safety analysis is going to be revised  
20 to DOE Standard 3009-2014. This is probably one of  
21 the few facilities that will have this upgrade  
22 safety basis, which will upgrade all the analysis.

23 So this is really going to be our driver  
24 to identify appropriate safety controls for the safe  
25 execution of the pit production as well as the other

1 plutonium mission records in PF-4.

2           And with respect to the ventilation  
3 system, we'll note that we're replacing a lot of the  
4 specific components. It won't be a safety class  
5 system, but the components that we're replacing on a  
6 lot of them, including a control systems, structural  
7 ventilation systems, diesel generator, and power  
8 supplies as well as the exhaust or bleed-off fans,  
9 so a lot of those are already being updated.

10           And we're going to do an incremental  
11 deliberate set of improvements, you know, as we have  
12 to replace some of the electrical components, you  
13 know, as well as ductwork.

14           CHAIRPERSON CONNERY: Thank you for that.  
15 I just want to make a comment on the passive  
16 confinement system you've talked about, and  
17 obviously making sure the structure stands is very  
18 important. We know you've had a lot of dialogue  
19 over the years about seismic upgrades, and the lab  
20 has done a significant amount of work in that area  
21 the board has been pleased with. It took a long  
22 time.

23           Also the DSA, it would be great to have a  
24 3009 2014 compliance DSA, although it's a little bit  
25 disappointing we don't have more of those in the

1 complex using 2014 as part of that.

2 I do -- I don't want to harp on this too  
3 much longer. I know we have a lot of other things  
4 to cover.

5 When it comes to the pit production, we  
6 noted that Savannah River is also going to have a  
7 pit facility. It's going to be at the benefit of  
8 being a quasi new-build as you're refurbishing  
9 another building that was used -- supposed to be  
10 used for another purpose, and we won't mention that  
11 situation.

12 But in that facility, the intent is for a  
13 safety class active confined ventilation system  
14 created to mitigate an earthquake, and Savannah  
15 River pit facility, as far as I know, is going to be  
16 for pit production.

17 PF-4 is not only pit production but, as we  
18 noted, is the plutonium center of excellence as  
19 we've been told, and there's a lot of other  
20 missions. So you can choose to answer or not. I  
21 know you guys have a lot more considerations to make  
22 than we do, since we only focus on safety. There  
23 seems to be an inconsistency there where a  
24 single-purpose facility will have an active seismic  
25 rated confined ventilation system, but this facility

1 won't, or sounds now like you're saying it may  
2 eventually as we incrementally increase.

3 MS. HRUBY: Yeah, I appreciate the seeming  
4 inconsistency. My perspective is that we -- with  
5 respect to the ventilation system for the Savannah  
6 River production facility, we get to start from  
7 square one, and we're committed to doing, you know,  
8 everything we can to do that, again, for the future,  
9 as safely as possible, and we can do it within the  
10 timeframe expected for the construction of that  
11 facility and its commitments to our delivery.

12 In PF-4 we know we have a more difficult  
13 situation that -- that again to -- the comments that  
14 Thom made, we are trying to get the most safety and  
15 the most time, you know, critical manner and cost  
16 effective manner. It would be -- it's -- it would  
17 be a very significant activity and upgrade, just  
18 like any remodel is harder than a new build, and in  
19 certain ways, and this is one of those ways.

20 So we're not -- so while I understand it  
21 presents sort of a theoretical inconsistency, it has  
22 to do with the practical manner. We get to build  
23 the Savannah River ventilation system from the  
24 ground up.

25 CHAIRPERSON CONNERY: I appreciate that

1 you're just remodeling the home; you have house  
2 guests at the same time. I appreciate the analogy.  
3 I'm going to turn to Ms. Roberson for the next  
4 question.

5 MS. ROBERSON: Thank you, Chair Connery.  
6 I want to continue a little more on the topic of  
7 passive confinement at PF-4. The most challenging  
8 is the bounding earthquake followed by fire.  
9 Mr. Roscetti explained how the primary safety  
10 control is a passive confinement system, actually,  
11 and relies on the door being closed after a certain  
12 amount of time. The longer the doors are open, the  
13 more material escapes, and the greater the radiation  
14 dose to the public.

15 Triad monitors this situation to determine  
16 how much of the radiation material escapes from the  
17 facility, and this is called the leak path fire,  
18 thus an essential assumption as far as the amount of  
19 time the exit doors remain open.

20 Let me pause here and say I want to thank  
21 you both. We had the opportunity to walk through  
22 the facility yesterday. Very cordial. We  
23 appreciate the time that was provided to us. And  
24 also while we are learning from your staff, we also  
25 had the opportunity to pay attention to the

1 conditions in the facility.

2 And there are physical conditions in the  
3 facility that may complicate the evacuation and time  
4 the doors remain open. PF-4 has ducting and other  
5 equipment that are not qualified to survive the  
6 bounding earthquake. For example, there's overhead  
7 ventilation ducting that may fall, as shown in the  
8 left side in Exhibit 17, and oftentimes there are  
9 carts, lots of carts, and unsecured tube boxes in  
10 the hallways, as shown in the center and right  
11 picture respectively.

12 In addition, not all emergency lights are  
13 equipped to function in the bounding earthquake,  
14 meaning the facility might be dark in places as  
15 workers try to leave.

16 So, Mr. Mason, the one question we have is  
17 we know you're staffing up a lot. What's your sense  
18 of what's the peak number of workers you expect to  
19 be inside PF-4?

20 DR. MASON: Let's see. Right now we have  
21 about a thousand daily occupancy, although we have  
22 spread that out in time by going to 24/7 operations,  
23 actually, because of the congestion that you both  
24 mentioned and observed.

25 That number will grow, although we will



1 continue to make use of these extended hours,  
2 particularly to separate the production operations  
3 and the installation operations so that it does  
4 mitigate that.

5 In terms of the five-minute criteria, I  
6 would -- I should emphasize that's just not an  
7 analytical number. We actually do drills. And in  
8 fact, I know that emergency preparedness is not one  
9 of the topics for today's session, but I would say  
10 in the world of emergency preparedness drills are of  
11 significant importance, and in fact, that means we  
12 have data, and we know that we're more like two  
13 minutes or two and a half -- two and a half below  
14 the five minute for the evacuation time. There is  
15 margin built into that analysis.

16 In addition, we have over 300 emergency  
17 lights. You mentioned the emergency lighting in the  
18 facility that comply with the life safety  
19 requirements such as the National Fire Protection  
20 Association OSHA standards. The most crucial ones  
21 are the fully rated seismic lights to PC-3 in the  
22 corridors specifically to facilitate that prompt  
23 evacuation.

24 The remaining lights have some seismic  
25 capacity and would meet the PC-2 capacity.

1 Actually, we do have plans to continue to replace  
2 emergency lights with the PC-3 seismically qualified  
3 lighting to facilitate that safe evacuation.

4 In addition, after the evacuation is  
5 complete, the confinement doors close automatically.  
6 And that door closure is a credited component to the  
7 confinement system.

8 Finally, as part of our emergency response  
9 procedures, there's a verification that the doors  
10 are closed to ensure that that happens, so we do  
11 have confidence in that analysis and that element of  
12 the -- of the factor -- leak path factor that you  
13 mentioned.

14 MS. ROBERSON: That's very helpful. Thank  
15 you. We are aware, and maybe I'm wrong, that there  
16 is an effort to do some additional modeling to  
17 either confirm that's sufficient time or determine  
18 if it's more or less. Is that still ongoing, the  
19 path light?

20 DR. MASON: That's correct.

21 MS. ROBERSON: And will that consider,  
22 like, emergency responders coming into the building  
23 as well as the people leaving the building?

24 DR. MASON: I think that's probably one of  
25 those things that we ought to take advantage of your

1 offer to enter things into the record rather than  
2 winging it.

3 MS. ROBERSON: That would be great. The  
4 last, you mentioned there's confirmation the doors  
5 closed. One of the questions we had is is that  
6 someone going to the door to confirm, or is there an  
7 electronic signal that the door's closed? Do you  
8 guys monitor the air delta between in and out, or  
9 are there remote signals that would validate the  
10 passive confinement is active?

11 DR. MASON: What I was referencing is the  
12 fact, as part of our emergency response procedures,  
13 the doors are verified to be closed by operations  
14 personnel, so it's a positive verification as part  
15 of the emergency response proceeding.

16 MS. ROBERSON: Do you know if you guys do  
17 plan any indicators on air -- on air difference or  
18 any remote indicators on the doors? That's not in  
19 the plan right now?

20 DR. MASON: We do have indication  
21 available of pressure differential readings, so  
22 there is instrumentation to support that. We would  
23 be happy to provide further details to the board on  
24 that.

25 MS. ROBERSON: Thank you, sir. Thank you

1 very much. I just got a new question, so thought  
2 I'd ask this, because this is the information we  
3 got. The drills that have been performed involved  
4 everyone standing by outside the rooms waiting to  
5 evacuate. Does that sound familiar to you?

6 DR. MASON: I think we do a variety of  
7 drills. In fact, one of the things we're adding  
8 next year, or we're planning to, we're going to be  
9 incorporating drills during the back shift, which is  
10 a new thing for us. So we try and evaluate the  
11 procedures under a variety of different scenarios,  
12 including expansion.

13 MS. ROBERSON: So more time?

14 DR. MASON: Yes.

15 MS. ROBERSON: Thank you. Thank you,  
16 Chair Connery.

17 CHAIRPERSON CONNERY: Thom's time's  
18 coming. I noticed Mr. Summers hasn't said a lot,  
19 but this is just the order of how we divided up the  
20 questions.

21 So you stressed the importance of the fire  
22 suppression system. We're trying to understand how  
23 that's going to work in a bounding earthquake and  
24 fire. The public could receive a dose from two  
25 different sources. One could be the reactor

1 spilling, and the other the material burning. These  
2 two components add up to just below the DOE  
3 evaluation guidelines of 25 rem. In NNSA's response  
4 to our November 2021 letter, which we are showing in  
5 Exhibit 18, you noted the dose consequences would be  
6 lowered to seven rem once the fire suppression  
7 system is lowered to the seismic qualification.

8 Even though the fire could loft  
9 radioactive particles into the air, the fire  
10 suppression system would completely remove the parts  
11 from the air. Our concern is the sprinklers in  
12 PF-4, shown on the right side of Exhibit 18, are  
13 just like what you would see in a store and would  
14 not perform as robustly as has been indicated by  
15 your calculations.

16 So -- and this is -- I'll address this to  
17 the administrator. You can choose to pick who  
18 answers it if you wouldn't care to, but you have  
19 already committed to this strategy. We want to  
20 understand the basis for the decision. That's why  
21 we are asking the questions. Would you or  
22 Mr. McConnell want to discuss what actions NNSA took  
23 to ensure the validity of those dose mitigation  
24 values of seven rem, because we got the letter. We  
25 understood what you were saying, but we didn't see

1 any of the evidence that validated the seven rem.

2 MR. McCONNELL: Great question, and you  
3 point out sort of the distinction between an  
4 analytical portion of the -- of the overall response  
5 and then which -- sort of a -- you go to the real  
6 world, you collect the data, you take that  
7 information, put it into models, assuming a certain  
8 fire with a certain intensity and certain area or  
9 worst case part of the facility and then assume some  
10 amount of fire suppression.

11 As we all know, only the sprinklers that  
12 are in the vicinity of the heat are going to  
13 actually go off. That's the way a sprinkler system  
14 works. You model some heads going off and some not,  
15 and then that model produces a number. That's the  
16 only way to get that number.

17 But your point, then, is to go back and  
18 make sure that the assumptions that were critical to  
19 the model are reflected in the real world. And I  
20 don't know where this particular sprinkler head is.  
21 I suspect in the not too distant future we're going  
22 to find it, and it is just one of many. I wouldn't  
23 hazard a guess how many sprinkler heads are in PF-4,  
24 but we have an obligation, then, to make sure that  
25 the reality of the facility, whether it's -- I'm not

1 a fire protection engineer. It is a very  
2 complicated field, and so I wouldn't want to hazard  
3 a guess. But the fundamental point you have here  
4 is, is the real-world systems actually installed,  
5 maintained? Has there been, over time, some  
6 interference put there that would cause us to  
7 question whether or not the assumptions in that  
8 model still hold?

9 That's part of our normal quality  
10 assurance, and so it happened as part of us getting  
11 to the point that we would accept this model as  
12 useful information, but the world keeps changing,  
13 the facility keeps changing. We need to make sure  
14 we stay on top. I suspect in a little while we're  
15 going to talk about oversight. This is one of the  
16 key points we need to continuously be vigilant to  
17 make sure the physical world in PF-4 meets our  
18 expectations so that we can make sure that those  
19 models remain valid.

20 MS. HRUBY: This is part of the question I  
21 don't think we addressed, which is how did NNSA look  
22 at the models that we got from Triad. Was that what  
23 you were going to follow up on?

24 CHAIRPERSON CONNERY: More of the point,  
25 though, so we were -- the question was about the

1 confinement ventilation system. That's what the  
2 letter was about, and you responded and said, hey,  
3 we understand this is what you want.

4 To your point, it's very difficult to put  
5 the active confinement ventilation system PC-3 into  
6 the facility; however, we are relying on a safety  
7 class fire protection system to do the job in  
8 conjunction with the passive confinement ventilation  
9 system that Dr. Mason spoke of. So okay, sounds  
10 like you have a path forward that gives you  
11 confidence that we're going to be able to protect.

12 What's curious, the number went from 45 to  
13 seven, but we didn't see any of the data, whatever  
14 model you were using, either the inputs or the  
15 calculations that got you to the seven rem. That's  
16 the question. You're obviously not going to be able  
17 to answer that.

18 MS. HRUBY: I think I would like to see if  
19 Ted Wyka could add some information here.

20 MR. WYKA: I would like to add a little  
21 bit and not restating the systems that we already  
22 have in place, the fire suppression, glovebox,  
23 seismic upgrades, the, you know, safety class  
24 confinement system. This is where your staff is  
25 also helping out a lot.



1 AUDIENCE MEMBER: Microphone.

2 MR. WYKA: We've had very, very rigorous  
3 discussions back and forth over the last several  
4 months on leak path factor, and this analysis is  
5 actually a key input into our DSA that we're  
6 updating the 3009 2014 DSA. And part of that  
7 process is using the models that are available to us  
8 with this input, from the MELCOR, CFD, and MCAS,  
9 different model versions to help us analyze with our  
10 technical -- to technically defend our models, and  
11 again, that'll address, you know, what systems and  
12 the adequacy of our systems.

13 CHAIRPERSON CONNERY: I appreciate that.  
14 I think -- again, you can submit for the record if  
15 there's documentation for that that will help us  
16 understand how you got to that point. I wasn't  
17 denigrating the sprinkler system. The sprinkler  
18 system is what it is. I was pointing out it's not a  
19 deluge system. It's, you know, you are upgrading  
20 it, which we were happy about. You are upgrading  
21 the fire protection loop so that the water gets to  
22 PF-4 when it needs to. The assumption is all of the  
23 radiation gets knocked down, to use a colloquialism,  
24 then we don't see that happening for the seismic  
25 system you mentioned.

1           MR. McCONNELL: This is -- the model is  
2 very complicated, and we will provide information.  
3 Part of this is to help -- you talk about two ways  
4 that material would, stuff that falls. You know,  
5 it's in the building. There has to be some reason  
6 for it to leave, and so it falls. And just like if  
7 somebody were to knock over some talcum powder,  
8 there would be a puff. That puff would then  
9 aerosolize material. It would flow with the air out  
10 through an opening. Although a building normally  
11 operates with lowest pressure in the building.

12           A fire, the heat from the fire  
13 generates -- from a principle of physics perspective  
14 generates energy, and the energy heats the air. The  
15 air then is the second reason why the material would  
16 move out. So part of the model is the sprinkler  
17 system cools the fire. The fire doesn't provide as  
18 much energy, which doesn't provide a driving force  
19 to force the puff of material to go out the door.  
20 It's not the water -- the particles bond to the  
21 water and fall out.

22           I just want to make sure everybody --  
23 there's a lot of physics, and thank goodness we have  
24 the Los Alamos National Laboratory, but we need to  
25 provide you those models that have been validated,

1 and we have to apply them to the specifics of our  
2 ability, quality check them with your -- you have  
3 talented people that can do things just as we can.  
4 We can get that information.

5 CHAIRPERSON CONNERY: I appreciate that.  
6 I'm not trying to badger the witness at this point  
7 in time. I'm trying to make it clear what it is  
8 we're looking for. If we get an answer like that,  
9 that's fine. It's within your purview to provide  
10 that answer. We want to make sure we can evaluate.  
11 We do have a fire protection engineer here as a  
12 resident inspector. That's not by accident. We  
13 recognize the hazards in the facility.

14 So I will -- actually, onto the next  
15 question. Sorry. So this goes to modeling, and in  
16 recent years we've noticed that the laboratory is  
17 increasing efforts on analytical modeling, which you  
18 are adept at. These efforts are used to justify  
19 deficiencies in engineered safety systems rather  
20 than rectifying the actual system. Colloquially we  
21 say you pencil whip the issue rather than addressing  
22 it.

23 Probably the biggest example is this PF-4  
24 leak path factor calculation that Mr. Wyka was  
25 speaking of that we mentioned earlier. We can show

1 you the complexity of the approach in Exhibit 19.  
2 It involves multiple models, numerous assumptions,  
3 some of which are hard to defend or protect with  
4 controls just as we discussed. So we understand  
5 you're upgrading physical systems. This isn't  
6 glossing over the efforts. We know the blood,  
7 sweat, and tears that went into the seismic updates.  
8 We saw the replacements on some of the ventilation  
9 systems and some of this fire protection when we  
10 were in PF-4 yesterday. However, we do see this  
11 trend that time and resources are increasingly  
12 devoted to modeling away the problem instead of  
13 improving the physical system.

14 Dr. Mason, can you comment on the focus on  
15 the modeling to justify the acceptance deficiencies  
16 rather than increasing efforts to physically improve  
17 the physical systems?

18 DR. MASON: I would say I do not view  
19 modeling in quite the way you described. Our  
20 current documented safety basis and the update that  
21 we're working on really relies heavily on engineered  
22 systems. And, you know, these include the sorts of  
23 things that you talked about, glovebox support  
24 stands and, you know, heat-source encapsulation,  
25 fire suppression systems, so forth.

1           The role of modeling is to support the  
2 analyses. In fact, we just talked about the example  
3 in terms of how does the fire suppression system  
4 mitigate the offsite dose. We have to use the  
5 models to translate the impact of those engineered  
6 systems to determine whether or not they're getting  
7 the safety that we want, and -- and, you know, we  
8 don't deploy engineered systems or even  
9 administrative controls without understanding how  
10 they're going to get us the desired outcome. There  
11 would be little value in that approach.

12           So, you know, I don't view models as a way  
13 of somehow avoiding a necessary safety system or  
14 engineered system. I actually view modeling as  
15 essential to validating that we've got them right.  
16 Obviously at Los Alamos we use models heavily not  
17 just in safety. We actually use them to assist us  
18 in the annual assessment certification of stockpile,  
19 which I would argue is a fairly high consequence  
20 activity.

21           Those models are very grounded in real  
22 physical systems and real measurements and the  
23 impacts of those measurements, and I don't really  
24 view it any different. It's -- it's really -- you  
25 know, it's a wonderful capability we have to allow

1 us to be really smart in how we build and maintain  
2 the systems.

3 Ted may want to add something to this  
4 topic.

5 MR. WYKA: I think you summed it up, Thom.  
6 Again, we're going to -- it's sort of like a duty.  
7 We're using the information from the modeling like a  
8 feedback into our DSA and to make sure we're in a  
9 complete defensible position, and that's using all  
10 three elements, MCAS, DM core, and CFD, so multiple  
11 models factor into the situation.

12 MS. HRUBY: I would just add that I take  
13 your point that if the only response you get is we  
14 modeled it, and it's okay, it's frustrating. So I  
15 guess I would just say from our -- from my side that  
16 when the -- when that's the response, we'll just  
17 have another meeting to say, do we really mean this  
18 and are we sure about this, because I can  
19 appreciate, you know, the frustration on the other  
20 side, especially if you don't have a lot of insight  
21 into the accident model.

22 CHAIRPERSON CONNERY: Thank you. I think  
23 you appreciate the question for what it was. I  
24 wasn't trying to denigrate the model. Obviously the  
25 stockpile stewardship program is a great example of

1     how we use modeling for national security. And  
2     again, we have a small staff, dedicated folks who  
3     were trying to understand how it is that you're  
4     approaching these issues.

5                 So I'm actually going to turn to  
6     Mr. Summers for the next question.

7                 MR. SUMMERS: Thanks, Chair Connery.  
8     Dr. Mason and Mr. Wyka, you both just eloquently  
9     said how important the document safety analysis is,  
10    and as PF-4 ramps up mission work, it would be  
11    important for Triad and NNSA to update the safety  
12    analysis accordingly and to implement modern DOE  
13    standards for that analysis.

14                The history of making timely improvements  
15    to safety basis documents at LANL has not been  
16    encouraging in the past. For example, the last  
17    major safety basis upgrade effort for PF-4 took more  
18    than four years to get approved. The current  
19    initiative to upgrade the safety basis to meet  
20    modern standards began, I believe, around 2017.  
21    Considerable work remains to complete the new  
22    analysis, as is shown and seen here in Exhibit 20.

23                After Triad completes the analysis, NNSA  
24    will need to review and approve it, and then it will  
25    need to be implemented into the facility operations.

1           So, Dr. Mason, what has been done to  
2 overcome Triad's past struggles and challenges with  
3 safety basis document development?

4           DR. MASON: So when Triad first came to  
5 Los Alamos as part of the transition in 2018,  
6 actually one of the things that we heard very loud  
7 and clear from the field office colleagues at the  
8 time was there was frustration with both the  
9 timeliness and the quality of many of the  
10 submissions that we, the lab, made to the field  
11 office, actually not just on safety basis, but on a  
12 wide variety of different topics, everything from  
13 real estate packages to procurement packages to  
14 safety documentation. So that was -- that was  
15 something that we have on our plate front and center  
16 coming in.

17           And I'll try and tell you a little bit  
18 about how we're dealing with it. I'll leave it to  
19 Ted to assess the extent to which things have  
20 improved.

21           So one of the things that we did right up  
22 front was actually go through an exercise to go  
23 through the list of all of the deliverables that we  
24 had. Because, you know, one reason for things being  
25 late, and if you're scrunched for time, that often



1 leads to poor quality, so there's a relationship  
2 there. And so we wanted to make sure that we were  
3 tracking everything so that we could ensure that we  
4 weren't scrambling at the last minute for something  
5 that had slipped through the cracks.

6 The other thing that we worked pretty hard  
7 on was having a better understanding up front of  
8 exactly what the expectation was for the  
9 deliverable. I mean, obviously we have to respect  
10 the different roles for us as the laboratory, as  
11 contractors, and the field office who have, in the  
12 cases of safety documentation, safety basis, you  
13 know, an oversight and approval authority but on the  
14 other hand having a clear understanding of what is  
15 needed for them to do their job, allows us to  
16 deliver better quality documentation.

17 I would say that we have made progress in  
18 that regard. I think certainly we are doing better  
19 in terms of both, I think, timeliness and quality.  
20 Although, you know, our safety basis organization is  
21 young, and so we are adding new staff, and we have  
22 people who are developing, so that's why having that  
23 upfront understanding is particularly important.

24 I should note we have met all the  
25 deliverables associated with the safety basis

1 documentation for the Los Alamos pit production  
2 plutonium project. I would take that as an  
3 indicator for progress in that area.

4 I'll turn it over to Ted to give his  
5 assessment of where our journey is for improvement.

6 MR. WYKA: Thank you, Thom, speaking as  
7 field office manager as well as safety basis  
8 approval or authority, you know, Thom is right.  
9 Since I've been here, quality and timeliness of  
10 occupants has met improvement performance evaluation  
11 policy.

12 THE COURT REPORTER: Speak into your  
13 microphone. We're having a hard time hearing.

14 MR. WYKA: There were specifically 70  
15 documents we looked at, so it's a big population.  
16 One of the things -- this is also like a partnership  
17 as well. There's partnership understanding, and  
18 there's a Federal inherent responsibility. The  
19 partnership is that our teams meet once a month, and  
20 maybe they do, like, a 30, 60-day -- they look at  
21 where are we at with all these documents, and that  
22 helps sort of with the expectation by the comments.  
23 So there's a lot of good dialogue between two teams,  
24 recognizing the specific roles and responsibilities,  
25 and it's the reason it's a partnership too, is we

1 have a big role in it to make sure we adequately  
2 improve those.

3 One of those is having the right staffing,  
4 and with our headquarters leadership we were able to  
5 actually fill up our nuclear safety staff, its full  
6 capabilities, as well as pretty much for the entire  
7 staff office. But we're also leveraging the entire  
8 enterprise. We're not here on an island. It's all  
9 about the enterprise. We use expertise across the  
10 enterprise at field office and headquarter to help  
11 us with the safety basis agreement to take a look at  
12 the quality of the documents as well. It's a team  
13 effort, partnership that's required, recognizing our  
14 individual responsibilities.

15 MR. SUMMERS: Thank you both for your  
16 answers.

17 Dr. Mason, given the complexity of the  
18 safety basis upgrade that's under way and the  
19 challenges that LANL has previously experienced  
20 with implementing new safety bases, can you discuss  
21 whether PF-4 will be operating under a modern safety  
22 basis by 2026, which is when NNSA is required or  
23 expected to make 30 pits per year?

24 DR. MASON: I think you have the timeline  
25 up there, so, you know, that's certainly our

1 objective. Obviously, you know, that gets us to the  
2 point in the middle, and then we have to see how  
3 things go in terms of approval and any feedback we  
4 get and so forth. That's what we're working  
5 towards.

6 MR. SUMMERS: Thank you, Dr. Mason.  
7 Chair Connery.

8 CHAIRPERSON CONNERY: I think the next set  
9 of questions is from Ms. Roberson.

10 MS. ROBERSON: Thank you, Chair Connery.  
11 That doesn't include approval nor implementation,  
12 right?

13 MR. McCONNELL: So yeah, your point being  
14 that once the department -- once NNSA approves it,  
15 then we have a document that has to go back to the  
16 laboratory to train their people or revise the  
17 procedures so that the day-to-day operations are  
18 fine with that. That's part of that timeline.

19 MS. ROBERSON: That's the basis of the  
20 question, really, is the complete process.

21 I want to take a moment, and I know  
22 Administrator Hrubby is going to say, didn't I  
23 already answer that. If we back up and go back over  
24 for a minute and look at the big picture and recap  
25 what we discussed so far, in just a few years PF-4

1 will see a paradigm shift to a large-scale  
2 production facility with the largest number of  
3 workers in history. NNSA is investing billions of  
4 dollars in production related infrastructure but has  
5 expressed reluctance to invest in upgrading certain  
6 safety infrastructure. As we discussed, a safety  
7 class active confinement ventilation system would be  
8 one of the most effective controls for protecting  
9 the public from accidents at PF-4, and yet for the  
10 foreseeable future, PF-4 will continue to rely on  
11 passive confinement strategy, which has some  
12 uncertainties.

13           Additionally, while we recognize NNSA is  
14 upgrading the fire suppression and other safety  
15 systems, we're concerned that the sprinklers might  
16 be less effective than predicted.

17           In addition to all this, we're concerned  
18 that the risks of schedule slip associated with the  
19 Savannah River pit facility, given NNSA's  
20 difficulties with bringing new facilities online,  
21 could be a factor.

22           In Exhibit 21, we have an excerpt from the  
23 legislation that requires DOE to produce 80 pits by  
24 2030. The current plan, as we understand it and as  
25 you've stated, 50 of those are to be built at the

1 Savannah River pit facility. However, if that  
2 facility schedule slips, there could be additional  
3 pressure for PF-4 to take on additional scope.

4 And so just in light -- I know we asked  
5 you this at the beginning. We'll ask you again.  
6 Can you discuss why you believe that your investment  
7 in safety related infrastructure is adequate given  
8 the impending mission increase at PF-4 and the  
9 greater than zero potential of greater production  
10 stress on PF-4 with the delays at Savannah River?

11 MS. HRUBY: Thank you. I think -- let  
12 me -- let me just say -- let me start with this  
13 issue of production increases required at Los Alamos  
14 and then back to the beginning of your question.

15 We are working very, very closely with the  
16 Department of Defense to relook at requirements.  
17 This is -- this was a requirement that was set not  
18 necessarily -- not because it could be done but  
19 because it was a calculation of their needs.

20 We have to relook -- I mean, it's just  
21 life. There's nothing that I would rather do than  
22 meet all of the requirements, but we have to relook  
23 at it because of the issues that we've experienced.  
24 And by the way, not just -- in NNSA, but not just in  
25 NNSA. This is a very difficult time in the United

1 States of America to do large construction projects.  
2 It's hard to get workers. It's hard to get  
3 supplies. There's a lot of downtime for COVID. The  
4 list goes on.

5 So we are trying to do things at a  
6 difficult time. We're trying to be as honest and  
7 realistic as possible about what we can do and can't  
8 do and working very closely with the Department of  
9 Defense so the scenario you laid out won't happen.  
10 Because we are not -- we cannot commit the more -- I  
11 mean, in a sincere way, more than 30 pits per year  
12 from PF-4, especially as we're getting started.

13 So, you know, this is a work in progress.  
14 There's a lot of things, as you probably can  
15 imagine, that have to be thought about in terms of  
16 changing things and making sure our nuclear  
17 deterrent is second to none, but we're working on it  
18 very, very hard.

19 We are -- I mean, the statements that we  
20 made earlier on about safety and the way we're  
21 viewing it is, you know -- buy down risk that we can  
22 do in the timeframes that fit the rest of the things  
23 that we need as effectively as possible, do things  
24 that position us to do more in the future and  
25 continuously improve, and, you know, that's the

1 philosophy we're using.

2           And I don't -- I mean, I feel like we are  
3 very careful about the risks that we're accepting.  
4 We're not just saying, you know, we've got this  
5 mission to do; we've got to accept risk. We're  
6 not -- we're approaching this in, I think, a very  
7 responsible manner, but it does mean that, you know,  
8 we can't stop -- we don't think it's worth stopping  
9 for the three years or whatever would be the  
10 requirement to get to active confinement  
11 ventilation, but we want to -- but we're doing lots  
12 of other things to make sure things are safe.

13           MR. McCONNELL: One aspect of the question  
14 is that the mix of things or the change, potential  
15 change of things, that would go on in PF-4 in the  
16 future.

17           As you're well-aware, one of the  
18 fundamental first assumptions or first datapoints of  
19 our approach is something called material at risk.  
20 So we -- we say there's this much plutonium in PF-4  
21 available to be involved in an accident like this  
22 post-seismic fire, regardless of what activity we  
23 are pursuing to use that much plutonium, and that is  
24 one of our most fundamental controls.

25           As you're well-aware, we track carefully



1 to make sure we stay below our total material risk.  
2 If the things we are doing with that from a  
3 programmatic perspective change, then the MAR limit  
4 stays the same. So unless we found ourselves -- I'm  
5 going to point it out for you. We get an exigent  
6 condition, like with 238, that's -- the control here  
7 would be the material at risk, because that's how we  
8 get to -- going back to your last slide, that's part  
9 of all that math that ends up with a consequence  
10 number. That is how we rate that.

11 So we would be very -- we are currently  
12 very well-aware that -- that it's entirely likely  
13 that PF-4 is or could become oversubscribed. And  
14 what we would then have to do is decide amongst all  
15 the things that the plutonium center of excellence  
16 does, and that would fall to the administrator to  
17 decide which of those things, you know, sort of fall  
18 off if we had to make space to do more of something  
19 else.

20 MS. ROBERSON: Okay. Well, thank you. My  
21 next question was just to ask if you were -- we know  
22 it would buy you margin, and if you're comfortable  
23 with the decisions that have been made on upgrading  
24 systems, it sounds like the other side would be just  
25 not to do other things, you have to prioritize. I

1 appreciate that. Is that right?

2 MS. HRUBY: Yes, and I just want to  
3 reemphasize that this decision is being made in --  
4 these -- these decisions about priorities will be  
5 made and are being made in consultation with the  
6 Department of Defense and other important partners,  
7 right, so that we're balancing all the various  
8 things, that we're not -- we're trying not to be  
9 surprised.

10 MS. ROBERSON: Thank you. Thank you,  
11 Administrator.

12 CHAIRPERSON CONNERY: Next question to  
13 Mr. Summers.

14 MR. SUMMERS: Thank you, Chair Connery.  
15 Mr. Wyka, in our 2019 letter to the Secretary of  
16 Energy, we identified safety system deficiencies and  
17 weaknesses in analysis that support PF-4 safety  
18 basis. This letter was issued to help aid the  
19 development of the upgraded safety basis.

20 First question, sir. Your predecessor  
21 directed Triad to consider the board's concerns and  
22 respond in writing back to your office, the field  
23 office, as you see in the expanded text identified  
24 here in Exhibit 22. Would you please discuss what  
25 actions resulted because of this letter?

1 MR. WYKA: Thank you, Mr. Summers, and I'm  
2 not specific. I'll probably have to get back to you  
3 for the record about specific items with respect to  
4 this letter.

5 Just as a matter of practice, whenever you  
6 receive any letters, information, whether it's from  
7 the resident inspector or board letters, simple  
8 examples like the transportation safety  
9 documentation for on-site as well as the letter that  
10 was provided for, you know, Idaho heat sources, and  
11 I'm sure something like this letter, this is  
12 something I'll pass out to the staff and partners as  
13 well. What things are we missing? Are there any  
14 safety issues here we need to address?

15 These are documents, letters that, you  
16 know, we give them out there to see what realtime  
17 improvements we can make. I'll get back to you for  
18 a record on what the actual changes were made with  
19 respect to this letter.

20 MR. SUMMERS: Thank you, Mr. Wyka.

21 And the second question, the board has  
22 recently communicated advice in other regards in  
23 other letters regarding Los Alamos, of course. For  
24 example, on August 11, 2022, provided advice on  
25 actions that could be taken in order to strengthen

1 the safety posture during the heat-source plutonium  
2 that we discussed several times now earlier.

3 Would you discuss any actions that you  
4 have planned regarding the advice in regards to  
5 heat-source plutonium?

6 MR. WYKA: Thank you, Mr. Summers, that  
7 was the example of the letter I was talking about as  
8 well. It was provided to the department as a -- as  
9 a letter of information, reporting action, but it  
10 had a lot of good information in there. So I  
11 directed my staff, working with the LANL team, to go  
12 through it, go through each paragraph of the letter  
13 and figure out what changes, you know, we should be  
14 making to processes we have in place for handling of  
15 the, you know, heat-source activity. I think we  
16 probably discussed controls we have in place, what  
17 are we missing.

18 And with that letter there was a lot of --  
19 there was dialogue between the staff, your staff and  
20 my staff as well, identifying -- and I can provide  
21 the specific examples and put it into the record.  
22 We did make a few changes to your processes as a  
23 result of the information provided by the board.

24 MR. SUMMERS: Thank you, Mr. Wyka.  
25 Certainly appreciate receiving that.

1 Over to you, Chair Connery.

2 MS. ROBERSON: I was going to do a  
3 follow-up, make sure we're clear. We know this is  
4 an outstanding reporting requirement, but we're  
5 interested in it not just because it's an  
6 outstanding reporting requirement to us, because  
7 it's a reporting requirement to you, and so that's  
8 what we're trying to understand. Maybe we haven't  
9 gotten a response yet, maybe you had, so we  
10 appreciate the follow-up.

11 CHAIRPERSON CONNERY: So we actually are  
12 coming to conclusion of this session. Going to give  
13 a little bit of a break. Before we break, I just  
14 want to let you know that the nature of our  
15 questions is not to frustrate you. Clearly, they  
16 do. We have sent letters for a long time to  
17 Los Alamos, to your predecessors, about things that  
18 concern us. We don't always get answers. We  
19 understand that we're not always going to get  
20 answers we like. We understand, Administrator, that  
21 you have a number of things that you're balancing  
22 when it comes to requirements that are put upon you  
23 by somebody else, and we have the luxury of only  
24 looking at safety, and there aren't very many of us.  
25 We are currently at 112 individuals that work the

1 entire complex. So the frustration level that you  
2 might hear from our side when we ask for questions,  
3 and we're asking honest questions to get at issues,  
4 we don't get the same response from the NNSA side of  
5 LANL that we might get from the EM side of LANL.

6 For whatever reason, it takes us a long  
7 time to get what we need and understand, and the  
8 more we understand, hopefully the less questions we  
9 ask. It's not designed to frustrate you. We know  
10 you have an important mission to do.

11 But when you say, Mr. McConnell, that, you  
12 know, you'll -- the MAR conversation that we just  
13 had, well, for years we've been saying you have  
14 gloveboxes that are at risk because you don't  
15 seismically qualify them, so it's really frustrating  
16 to say well, we'll figure it out if we have  
17 additional mission that create additional MAR.

18 We already know that there are things that  
19 you could do now to alleviate that situation later  
20 on, so that's -- if you hear frustration, that's  
21 what you're hearing from our side.

22 I do want to make sure we have a time for  
23 break. My suggestion is we reconvene at about five  
24 minutes to 6:00, and we will continue with the rest  
25 of the panel and the same for -- obviously return

1 back at five minutes to 6:00, and we will resume.

2 Thank you.

3 (Recess was taken from 5:37 to 6:01.)

4 CHAIRPERSON CONNERY: So I'm going to  
5 apologize. I'm a native Bostonian. I've been told  
6 I speak far too quickly for the court reporter, or  
7 stenographer, and for most of the audience, so I  
8 apologize, and I will endeavor to speak more slowly.  
9 If there's anyone in the audience who feels like I'm  
10 speaking too fast, just do this, and I'll slow down.  
11 I appreciate that.

12 And then for my colleagues, and  
13 particularly Mr. Wyka, I think we're having a hard  
14 time hearing you, so make sure the mic is close to  
15 you, because it's not just for our live audience but  
16 for our studio audience to be able to hear you  
17 clearly.

18 Welcome back, everybody. We're going to  
19 call everybody back to order for what we're going to  
20 call session three.

21 I do want to recognize -- I believe we  
22 have somebody from Congresswoman Fernandez's office,  
23 Matt Miller, the field representative is here. I  
24 want to recognize Matt. Thank you for coming out,  
25 and to Congresswoman Fernandez's for her attention

1 to these issues. It's really important. I  
2 appreciate you being here today.

3 So we're going to continue our discussion  
4 with the NNSA panel, but again, in order to get some  
5 clarity and background, we're going to start with  
6 Mr. Roscetti, our technical director, to give an  
7 opening statement to lay groundwork for this next  
8 session.

9 Mr. Roscetti.

10 MR. ROSCETTI: Thank you. Appreciate the  
11 opportunity to continue by background information to  
12 assist the public in understanding today's hearing.  
13 I'll also remind everyone of our acronym list and  
14 glossary of key terms for today, which we have  
15 provided on our website.

16 I will continue to discuss active  
17 confinement ventilation. The purpose of an active  
18 confinement ventilation system is to ensure nearly  
19 all airborne radioactive particles are captured  
20 before the air is released outside.

21 Exhibit 23 shows a simple diagram of an  
22 active confinement ventilation system with fans in  
23 the center that draw facility air through high  
24 efficiency particulate air filters or HEPA filters.  
25 The fans can expel the filtered air up the stack at



1 the far right. Other systems needed to power and  
2 control the system are shown in the background as  
3 well.

4 I explained earlier that one way to  
5 classify a system resilience following an earthquake  
6 is performance category, and I described the  
7 difference between PC-2 and PC-3. Certain  
8 components of PF-4's active confinement ventilation  
9 system are only designed to PC-2, preventing the  
10 entire active system from being qualified to the  
11 more stringent PC-3 level. This means that the  
12 passive confinement system, which does not include  
13 fans moving air through the systems, remains the  
14 primary engineering control for the bounding  
15 accident.

16 As was discussed in the last session, this  
17 approach is less reliable because it is highly  
18 dependent on how long the building doors to the  
19 outside remain open.

20 A safety class system which is necessary  
21 to protect the public from potential accidents  
22 typically requires its components to be qualified to  
23 PC-3. Additional features are also required for  
24 safety class system. One, redundancy where there  
25 are multiple components in case one were to fail.

1 Two, diversity, where there are different types of  
2 components such as having a mix of electrically and  
3 air-driven activators. And three, components to  
4 minimize the risk of damage from the same event. In  
5 this way, any single failure would not cause the  
6 entire system to fail.

7           However, as I mentioned earlier, portions  
8 of the active confinement ventilation system are  
9 neither safety class or PC-3 from the bounding  
10 earthquake, the topic board will explore later.

11           In addition, some of the safety systems in  
12 the plutonium facility contain original components  
13 from when the facility began operations in 1978,  
14 while some major components such as portions of the  
15 facility control system and the uninterruptible  
16 power supply, or UPS, have been replaced or upgraded  
17 recently. Other components such as dampers,  
18 ductwork, and cabling are being slowly replaced on a  
19 piece-by-piece basis.

20           Without comprehensive upgrades, the  
21 overall system is still reliant on PC-2 equipment.  
22 This is a concern, as a safety system is only as  
23 reliable as its weakest link.

24           In recommendation 2020-1, the board  
25 recommended the department develop an integrated

1 approach to maintaining aging infrastructure. As I  
2 discussed before, trying to address some aging  
3 component issues with preventative maintenance, for  
4 example, Exhibit 24 shows a ventilation fan slated  
5 for replacement. Aging management is about ensuring  
6 the components are replaced before they fail as  
7 opposed to allowing them to fail and losing  
8 production time while waiting for replacement.

9           Though you may not think about it every  
10 day, this is an important concept in everyday life.  
11 For example, the owner's manual of your vehicle has  
12 a schedule that tells you when preventive  
13 maintenance should be performed to ensure reliable  
14 operation. This includes oil changes and  
15 transmission fluid changes to maximize the life of  
16 the engine and the transmission. In addition to  
17 more complex maintenance such as replacing the  
18 timing belt and sparkplugs to prevent engine  
19 failure, commercial nuclear power operators purchase  
20 parts with known service life requirements. They  
21 routinely test sample items from manufacturers using  
22 strict quality assurance requirements.

23           Since many of these requirements are the  
24 same or similar for defense nuclear facilities, DOE  
25 can obtain manufacturer specifications for many

1 components. As with automobile maintenance  
2 comparison, such activities can be a short-term cost  
3 but a long-term efficiency. If components are  
4 replaced before they fail, operational disruptions  
5 can be avoided, and accidents can be prevented.

6 Finally, I will draw your attention to  
7 Exhibit 25, the board's Technical Report 46 issued  
8 in 2020. Amidst discussion about production the  
9 radioactive waste it generates should not be  
10 forgotten.

11 The picture on the left shows the  
12 potential consequences of not understanding the  
13 contents of waste containers. In 2018 a number of  
14 waste drums at the Idaho National Laboratory  
15 overpressurized and ruptured after unforeseen  
16 chemical reactions burst the drums.

17 One of the elements of the technical  
18 report that Mr. Summers discussed previously was the  
19 importance of appropriately prioritizing storage  
20 locations based on risks associated with each  
21 container's contents.

22 The board staff shares the concern that  
23 outdoor storage locations do not provide additional  
24 protection for release of radioactive material from  
25 a waste container. In my opinion, if space is

1 available in more protective locations and -- then  
2 the use of these locations should be prioritized as  
3 more waste is generated.

4 I know the board members plan to explore  
5 these important topics as well as the additional  
6 elements of Triad safety management programs that  
7 touch on workers in this session. This concludes my  
8 remarks.

9 CHAIRPERSON CONNERY: Thank you,  
10 Mr. Roscetti. We're going to start with Mr. Summers  
11 to ask the first question for the session.

12 MR. SUMMERS: Thank you, Chair Connery.  
13 Dr. Mason and Mr. Wyka, in the previous session we  
14 discussed NNSA's decision to not pursue a safety  
15 class active confinement ventilation system. A  
16 safety class system would reduce the consequences  
17 from a bounding earthquake.

18 Now we'd like to discuss whether NNSA can  
19 upgrade the existing active ventilation system to be  
20 more robust even if it would not be safety class.

21 First, I have three questions. The first  
22 is to Dr. Mason. Dr. Mason, as our staff and as I  
23 understand, many major components that are shown in  
24 Exhibit 26 will be fully seismically qualified, but  
25 the interfaces and the support systems contain weak

1 links. For example, cable conduits for electrical  
2 power and air systems to actuate dampers. They may  
3 not be similarly qualified.

4 Following your planned upgrades, will the  
5 active confinement ventilation system function after  
6 the PC-3 earthquake?

7 DR. MASON: So the active ventilation  
8 system already in place, which is safety  
9 significant, not safety class, already has  
10 significant redundancy and actually is highly  
11 reliable. We see that manifested in the operations  
12 of the plant.

13 The upgrade strategy that you mentioned to  
14 the ventilation and support systems focuses on  
15 replacing major components such as some of those  
16 illustrated in that flow diagram to achieve a more  
17 robust ventilation system. This is going to be done  
18 by proactively managing obsolescence, increasing  
19 seismic performance, and in some cases adding  
20 further redundancy.

21 In some cases, those actions have been  
22 taken. As components are replaced, they're  
23 seismically protected, secured to safety class  
24 standards. Although, as you pointed out, the fact  
25 that individual components may be qualified to

1 safety classes does not mean the entire system meets  
2 that specification. It provides for a more robust  
3 system able to withstand greater insults.

4 We are also pursuing additional redundancy  
5 in facility uninterruptible power supply and backup  
6 diesel generator support systems, since those can be  
7 important for operating through upset conditions.

8 So during a design basis PC-3 earthquake,  
9 the ventilation is not expected or required to  
10 operate because of the fact that we do rely on this  
11 passive confinement system, and the -- that means  
12 that during a seismic event of this magnitude there  
13 may be some systems that may fail or be otherwise  
14 compromised, and the -- that's why we have these  
15 other steps to mitigate the offsite dose.

16 And in this scenario, however, the  
17 facility would still be maintained at negative  
18 pressure with respect to the outside environment.  
19 If, in a PC-3 earthquake, there was a total loss, a  
20 power instrument error, for example, there would be  
21 no fans running, but the facility would be in  
22 passive confinement mode breathing through intake  
23 and exhaust HEPA filter plenums to achieve  
24 equilibrium with the outside environment.

25 So hopefully that partially addresses your

1 question. Ted may want to add some more.

2 MR. WYKA: Really just amplify, you know,  
3 our upgrade strategy is managing obsolescence and  
4 eliminating single-point values, as Thom mentioned.  
5 Even as components are replaced in space, a lot of  
6 the figures that you have identified there, they are  
7 seismically tested and to class standards. We're  
8 doing upgrades in a lot of areas to the structural  
9 ventilation system, control systems, generating  
10 diesel power supplies, and exhaust and bleed fans.

11 Redundancy is being pursued, and UPS and  
12 backup diesel generator systems, as Thom mentioned,  
13 and in, you know, electrical cables and ductwork  
14 have to be considered. I keep reaching to the  
15 revised DSA. That is the document that is going to  
16 be used for modeling and identifying what -- you  
17 know, the controls we have in place.

18 As Thom mentioned, PF-4 meets safety class  
19 packed passive confinement following an  
20 evaluation-based earthquake, and that could contain  
21 and confine materials within PF-4.

22 MR. SUMMERS: Thank you, Dr. Mason, and  
23 thank you, Mr. Wyka.

24 The next question is addressed to  
25 Dr. Mason, please. Now I would like to discuss the



1 improvements to system reliability. PF-4 has  
2 experienced recent failures of damper actuators  
3 which resulted in roughly three lost production days  
4 in 2022.

5 Can you discuss, Dr. Mason, opportunities  
6 that add redundancy, diversity, and separation to  
7 achieve benefits to both safety and operations?

8 DR. MASON: Yeah, this is a -- this is a  
9 very important topic for us, particularly if we're  
10 to meet the mission objectives that have been stated  
11 not just for pit production but for all the  
12 plutonium mission.

13 As a result of investments that pit had to  
14 make over the years to this point, we are seeing  
15 improved operational performance of many of the  
16 systems, although we still have work to do to get  
17 all of them to where they need to be.

18 Just to sort of highlight this, I would  
19 like to make note of the fact that in FY21 we had 19  
20 production weeks for pit production inside the  
21 plant. In FY22 that increased to 30 weeks of  
22 production time. And in some sense, one can view  
23 that as an aggregate measure of a number of things  
24 that are actually very relevant to safety and  
25 security, because if you look at the origin of

1 downtime that prevents production activities, you  
2 know, there could be a range of things ranging from  
3 the length of time to do inventories on nuclear  
4 materials, which is obviously an important  
5 security-related thing, to things such as the ones  
6 you mentioned.

7           So the fact that we've been able to  
8 improve from 19 weeks in '21 to 30 weeks in '22 is  
9 an aggregate measure of that improved operational  
10 performance. We are not yet at our goal. We want  
11 to get to 40 weeks, so there is more work yet to be  
12 done.

13           I think we're seeing the benefits of  
14 investments that are being made in those systems  
15 over the years to this point. In some cases we have  
16 had instances where systems that we were planning to  
17 replace failed before we replaced them, and so that  
18 just highlights the need of sustaining this effort,  
19 which I think both Ted and I spoke to a little bit  
20 in response to the last question in terms of adding  
21 additional redundancy to things like, you know,  
22 uninterruptible power supplies, putting in place  
23 more robust and seismically tested components so  
24 they're less prone to failure, and quite frankly, in  
25 many cases, specifically replacing equipment that's

1 old that may have been in place in the facility  
2 since the time it was constructed.

3 And I think we heard mention of the car  
4 analogy. You know, there are some components of the  
5 car that one needs to plan for, and replacement, you  
6 know, not because they're failing in an  
7 unanticipated way, but because they're simply  
8 approaching their engine life. That's what we mean  
9 when we talk about using obsolescence. That's one  
10 of the measures of those replacements, is getting  
11 new systems in place hopefully before the failures  
12 occur.

13 MR. SUMMERS: Thank you, Dr. Mason.

14 Ted, did you want to add something?

15 MR. WYKA: Yes, just add to that, you  
16 know, from the field office perspective, Thom is  
17 right in the metric production time, which is pretty  
18 remarkable from 19 to 30 weeks. Lot of contributing  
19 factors. But in terms of aging infrastructure and  
20 modernization, one thing that we work with on the  
21 LANL team --

22 AUDIENCE MEMBER: Sir, could you speak  
23 more slowly?

24 MR. WYKA: Yes, ma'am.

25 We have system engineers that are assigned

1 to your nuclear safety systems, and they track  
2 system performance through the system health  
3 reports, identifying certain spare parts, and  
4 overseeing maintenance on the systems. They try to  
5 stay in front of the (indiscernible ) systems,  
6 including a UPS, criticality alarm systems,  
7 confinement doors, and instrumental controls with  
8 their safety engineers assigned and their work in  
9 progress include, like, the fire alarm, facility  
10 control system, fire suppression and diesel  
11 generator. It takes not only replacement and  
12 upgrades and assigning personnel safety engineers to  
13 track the systems and help with the systems.

14 MR. SUMMERS: Thank you for the further  
15 amplification. My last question on this topic is to  
16 Mr. Wyka. What are your thoughts on addressing the  
17 weak links so that the entire system can survive the  
18 bounding PC-3 earthquake?

19 MR. WYKA: I think it's looking, again, at  
20 upgrading systems, you know, doing the things that  
21 we've already done and doing, which includes, again,  
22 structural ventilation systems, control systems,  
23 generator and diesel power supplies, exhaust fans.  
24 That's an incremental improvement.

25 I look at it sort of as an incremental

1 deliberate improvement, recognizing that we're never  
2 to a PC-3 safety class until we replace all the  
3 components, but as we get to the point of replacing  
4 some of that ductwork, those electrical components  
5 through our DSA, upgraded DSA, we'll look at, you  
6 know -- improve upgrades in those areas to get to  
7 that -- you know, to get to that incremental point  
8 where I think we all need to be.

9 MR. SUMMERS: I appreciate the response.  
10 Just one follow-up question. From a prioritization  
11 standpoint to get the most safety -- the safety  
12 advantage out of those investments, if you will, in  
13 those areas, as you incrementally upgrade the safety  
14 systems, have you taken a look at prioritizing what  
15 areas and if it would be advantageous to prioritize  
16 first from the weakest-link safety perspective?

17 DR. MASON: As I mentioned, we are kind of  
18 trying to systematically work our way through the  
19 systems and have identified components that we  
20 intend to replace. And part of the objective is  
21 actually to get the most immediate return on safety  
22 investment rather than, you know, waiting for some  
23 grand thing that could take a long time to realize.

24 I should note there are other constraints  
25 that we do have to factor in in terms of the planned

1 work for the facility and potential interference and  
2 so forth, so certainly we prioritize in terms of  
3 getting our maximum bang for our safety dollar, but  
4 we also have to integrate that into the overall  
5 schedule.

6 One of the things we've been working on  
7 for the last several years is actually integrating  
8 all of the schedules for all of the activities of  
9 PF-4, the upgrades, the production work for pits,  
10 plus the other important mission work that we do,  
11 and not forgetting that actually one of our products  
12 is waste, and then we also have to be moving waste  
13 out of the facility.

14 So it's sometimes a bit of a dance to get  
15 all that right, but we're trying to prioritize the  
16 safety investment to those that deliver the maximum  
17 benefit in the nearest timeframe that we can.

18 MR. SUMMERS: Thank you, Dr. Mason. Thank  
19 you, Mr. Wyka.

20 Chair Connery.

21 CHAIRPERSON CONNERY: Thank you, sir.

22 Ms. Roberson.

23 MS. ROBERSON: Thank you, Chair Connery.

24 Make sure I'm speaking loud enough too. If I can  
25 quickly, sir, if I can follow-up with a question

1 from the last session regarding, I guess, what I  
2 characterize as assurance that the passive  
3 confinement systems approach was active.

4 Dr. Mason, you and I had an exchange about  
5 differential pressure moderating, which you  
6 indicated does exist. Is that monitor seismically  
7 qualified? Will it survive the earthquake?

8 DR. MASON: I think that's one we should  
9 probably get you more detail in follow-up for the  
10 record.

11 MS. ROBERSON: Thank you. And then the  
12 other one we talked about was the door closed. I  
13 want to make sure you and I were talking about  
14 exterior doors and not interior doors and I  
15 understood correctly the last person -- known last  
16 person out closes the door. That was the assurance?

17 DR. MASON: Yeah, we are talking about the  
18 exterior doors that are important for this  
19 calculation. We're talking about for the emergency.  
20 It's part of the emergency response procedure to  
21 verify closure of those external doors.

22 MS. ROBERSON: Thank you, sir. Now to my  
23 actual question. A picture of cable trays and  
24 electrical conduit is shown in Exhibit 27. These  
25 connect the facility control system to fill

1 equipment such as sensors and dampers. The facility  
2 control system is key to the functioning of the  
3 ventilation system. Without it, the ventilation  
4 system will not work. Triad is working to replace  
5 the logic controllers for the facility control  
6 system, which is a safety significant system. We  
7 understand Triad conducted or concluded that its  
8 effort did not need to follow DOE standard that  
9 covers safety significant systems known as DOE  
10 Standard 1195 because the scope of the upgrade was  
11 limited.

12           However, future efforts are planned to  
13 replace sensors and actuators, and in total, when  
14 you put the pieces together, these upgrades  
15 constitute a full safety instrument system for which  
16 the standard was intended to apply.

17           So I wanted to go to you Mr. Wyka, since  
18 you agreed and approved. Why not apply the standard  
19 to ensure the integrated safety system is designed  
20 to provide high reliability in accordance with DOE  
21 directives?

22           MR. WYKA: Thank you. You know, that's --  
23 you know -- you know, that is a standard I would  
24 look to and apply, you know, and I'd probably have  
25 to get back to you on the record for specific



1 circumstances for this issue.

2 MS. ROBERSON: I appreciate that. Then I  
3 won't ask you my second question, which I assumed  
4 you were going to say you just weren't going to do  
5 it. So I appreciate to hear back from you, and  
6 we'll wait for that. Thank you.

7 Chair?

8 CHAIRPERSON CONNERY: Oh, we just want to  
9 make a comment on the picture, is changed to a  
10 facility control system. It's not a cable. We  
11 didn't mean to confuse anybody.

12 MS. ROBERSON: That's why I have glasses.

13 CHAIRPERSON CONNERY: Aging  
14 infrastructure. We need glasses.

15 The next question is moving on to other  
16 safety system infrastructure, and so we're going to  
17 go back to talk about fire protection.

18 And, Dr. Mason, the lab started upgrading  
19 the fire suppression system in PF-4 to safety class  
20 about a decade ago. Currently, several facilities  
21 are connected to the same fire water loop as PF-4,  
22 shown in Exhibit 28. I'm going to look up to make  
23 sure that that's what that shows. Yes. Okay.  
24 Because these facilities all have different seismic  
25 pedigrees, we can't be assured of the whole loop's

1 performance following the bounding seismic event.  
2 In other words, there might not be enough water for  
3 PF-4 because of pipe ruptures in these other  
4 structures.

5 So can you discuss the current schedule  
6 and any concerns with completing the work on the  
7 sprinkler piping on PF-4 establishing a new  
8 fire/water supply route to separate PF-4 from the  
9 non-seismically qualified buildings and implementing  
10 these upgrades in a revised safety analysis.

11 DR. MASON: So the work to increase the  
12 seismic performance of the fire suppression system  
13 is important in terms of realizing the significant  
14 off-site dose reduction. The removal of nonseismic  
15 qualified buildings is going to be performed in  
16 three phases.

17 First phase is installation of a  
18 high-pressure feed, then waterline installation to  
19 the west to support program expansion, followed by  
20 waterline installation to the east to support some  
21 of the security components. These projects are on  
22 track to meet our deadline for the 30 pit per year  
23 production.

24 And the status of the individual phases,  
25 phase one design is complete. Execution contract

1 has been awarded.

2 In phase two, the design will be completed  
3 in FY23, and Phase III is still pending funding.  
4 We're under a continuing resolution now. I don't  
5 anticipate any problems. But, you know, we have to  
6 respect the power of the purse. So that's a little  
7 bit where things stand in terms of those, but it's  
8 definitely our intent to move those nonseismically  
9 qualified systems off to prevent the scenario you  
10 just identified.

11 CHAIRPERSON CONNERY: I appreciate that.  
12 I believe it's good news we are moving ahead on  
13 those projects, and it is obviously an illustration  
14 of how we're trying to catch up to the production by  
15 upgrading these systems as we are also moving  
16 forward with the activities that you have to do to  
17 meet your requirements with regards to production.

18 We do believe that the seismically  
19 qualified pressing buyer -- sorry, seismically  
20 qualified fire suppression is a good thing for PF-4,  
21 as we discussed earlier. We don't know that's  
22 necessarily going to be sufficient. So necessary  
23 but not necessarily sufficient.

24 With that, Mr. Summers?

25 MR. SUMMERS: Thank you, Chair Connery.

1 I'd like now to move to a few questions about  
2 glovebox stands in PF-4, and I'll have one question  
3 for Dr. Mason, Administrator Hruby, and  
4 Mr. McConnell. Since 2009 laboratory engineering  
5 staff have been systemically analyzing the safety  
6 systems within PF-4 to determine they can withstand  
7 the estimated ground motion during a bounding  
8 earthquake.

9 On the left side of Exhibit 29 we see a  
10 glovebox that is seismically deficient, which means  
11 it may be at risk of toppling, spilling, and  
12 impacting plutonium during a seismic event.

13 On the right side we see a new one, new  
14 glovebox that is qualified to withstand the bounding  
15 earthquake. The differences in bracing and footings  
16 are obvious.

17 Triad has made progress with glovebox  
18 analysis, but some of the gloveboxes do not meet the  
19 required seismic capacity. Many of these gloveboxes  
20 support fire hazard involving heat-source plutonium,  
21 plutonium oxide powders, or plutonium solutions. My  
22 first question is to Dr. Mason.

23 Dr. Mason, can you speak to how many  
24 gloveboxes do not meet the required seismic capacity  
25 and how many remain unanalyzed at this time?

1 DR. MASON: We can provide the exact  
2 numbers for the record, but I would say this is an  
3 area where we have made significant progress, but  
4 much more remains to be done. Most important,  
5 gloveboxes have already been upgraded in terms of  
6 the release hazard associated particularly with  
7 molten plutonium operations. And in addition, with  
8 the work commencing on the LAP4 project, as it's  
9 known, and some related major items of equipment, we  
10 now have a very full pipeline of new gloveboxes that  
11 will be installed in PF-4 that will be designed to  
12 meet or exceed size and performance requirements.

13 I would say for the next four or five  
14 years we will be designing, procuring, and  
15 installing gloveboxes at about the fastest rate we  
16 can accommodate.

17 So at this time it's -- it's -- it's more  
18 a question of the industrial capacity for actually  
19 design and procurement that is really the limiting  
20 factor.

21 As you noted in the photograph, the modern  
22 gloveboxes are built to modern standards. They are  
23 more robust to withstand that kind of design basis  
24 event.

25 When we modify a glovebox design, we don't

1 look at the glovebox. We do an analysis for the  
2 whole line, and if there's a need to perform  
3 retrofits on the balance of the gloveboxes in the  
4 line, we also do that. And so for the remaining  
5 gloveboxes, the focus is on performing the required  
6 analyses to quantify the magnitude of the  
7 vulnerability, and that will allow us to develop a  
8 strategy, prioritize further retrofits and put in  
9 place any new controls that are needed.

10 MR. SUMMERS: Thank you, Dr. Mason, and we  
11 appreciate your offer to work with our staff in  
12 order to get a number that can be added and entered  
13 into the record.

14 My second question is for Administrator  
15 Hruby. Ma'am, NNSA has continued operations with  
16 deficient glovebox stands, as I'm informed, since at  
17 least 2011. Given that PF-4 has many decades of  
18 service ahead, would you discuss how long NNSA is  
19 willing to accept these deficient conditions, ma'am?  
20 Thank you.

21 MS. HRUBY: Thank you. This is one of the  
22 sort of ironies of the situation we have, is that  
23 because of the mission demands, we now have the  
24 resources that are needed to improve our safety, and  
25 for many years, resources -- not while I've been

1 here, but in this job -- but the resources were not  
2 there to do all of the safety upgrades that -- that,  
3 you know, we would be -- would be good to do.

4 We have this unusual situation about  
5 gloveboxes that Thom alluded to. We're actually --  
6 we have a glovebox working group because there -- we  
7 are pushing the demand for glovebox manufacture, you  
8 know, the -- to its limits, and we're trying to work  
9 with glovebox manufacturers in the United States to  
10 increase their capacity to meet our demands for the  
11 project here at Los Alamos as well as Savannah River  
12 and other projects, because pretty much everything  
13 we do is in gloveboxes, so we're working -- we  
14 recognize this. We're actually trying to prioritize  
15 not only within facilities but across the complex  
16 and working with vendors to increase capacity on  
17 gloveboxes.

18 I -- I don't have a number for you of when  
19 we might be able to replace them all, and I am  
20 confident in the facilities where we're not doing  
21 mission critical work right now, we haven't yet  
22 obtained the funding, but I appreciate the question,  
23 and it's obviously something that we need to  
24 continue to do. Thank you.

25 MR. SUMMERS: Thank you, Administrator

1 Hruby. My third question is for Mr. McConnell.  
2 Many of the deficient gloveboxes are not used for  
3 pit manufacturing and will not benefit from the  
4 investments that NNSA is making for that program.  
5 For example, there are currently about 40  
6 heat-source plutonium gloveboxes that also need  
7 upgrades. These boxes support NNSA's programs and  
8 NASA. Do these customers help fund upgrades for  
9 these deficient gloveboxes?

10 MR. McCONNELL: So as you mentioned, some  
11 of those customers are internal NNSA customers who  
12 do fund and support the overall operations of PF-4.  
13 The other customers external to NNSA pay through the  
14 charges that are set up, the space charges -- you  
15 can get specifics from the laboratory -- for the  
16 cost of operation.

17 One of the challenges we have is to figure  
18 out how to amortize the cost of upgrades to people  
19 who right now are users, and so they cover the cost  
20 of use, but later on if we decide that we need to  
21 upgrade a glovebox, for example, they may not be  
22 doing programmatic work on that box, but there's  
23 still residual left there.

24 The answer is yes for some, but there is a  
25 challenge and a gap that we need to figure out how



1 we can account for the need to do these upgrades to  
2 all our boxes. But again, this is another one of  
3 those ironies that the boxes that are in use are the  
4 ones for which there's funding, but since they're in  
5 use, there's a programmatic integration to take them  
6 out of service.

7 The ones that are not in use we could,  
8 from a safety perspective, update more easily.  
9 They're not a high priority because there's not a  
10 hazard because they're not in use.

11 So we need to figure out as part of our  
12 aged and part of our overall facility -- at the end  
13 of the day, NNSA is responsible for PF-4, and if  
14 a -- an event happens in an idle box used by  
15 somebody else that's going to impact pit production  
16 because it's going to be production impact, we own  
17 that risk at a fundamental level, and we need to --  
18 we do take that into account.

19 The issue, as I said is about trying to  
20 figure out how to -- how to prioritize when the  
21 things that are most active are most active because  
22 they're associated with our most critical ongoing  
23 mission. So there's a -- a chicken and an egg  
24 problem there.

25 MR. SUMMERS: Thank you, Mr. McConnell.

1 Chair Connery.

2 CHAIRPERSON CONNERY: I just want to  
3 follow-up on that. You said two things that sounded  
4 contradictory. I understand NNSA's needs and the  
5 need to replace gloveboxes. I understand the demand  
6 for the whole glovebox working group situation;  
7 however, when you're talking about something -- say  
8 NASA's mission. As a taxpayer, if you're talking  
9 about a deterrent versus NASA, that's a different  
10 scenario. You're accepting the risk for NASA for  
11 not upgrading their glovebox even though that could  
12 hurt the mission of a deterrent. That doesn't make  
13 sense to me.

14 MR. McCONNELL: Thank you for letting me  
15 clarify. I think I'll turn it over to the  
16 laboratory better than I. 238 is an asset. The  
17 capability to do 238 work -- there's a room in PF-4  
18 that's specially designed to the 238 work. There  
19 are multiple customers that do 238 work. Sometimes  
20 it's us; sometimes it's NASA. And so we need that  
21 operation to be able to function to do our work, and  
22 we need to make sure we can mitigate any potential  
23 risk, because it's opposed to our work, but our  
24 funding models fund day-to-day operations. They  
25 don't fund recap -- we don't fund recapitalization

1 of our infrastructure through what would, in this  
2 case, be an SPP, a strategic partnership plan. So  
3 that falls to NNSA as the landlord to do the  
4 infrastructure modernization. I'll let the  
5 laboratory elaborate.

6 DR. MASON: Yeah, there is a challenge in  
7 some -- this is not unique challenge to Los Alamos.  
8 There are a number of nuclear facilities across the  
9 complex that are multiprogram in nature, and in  
10 fact, for the -- for the PU-238 for NASA, that work  
11 is done at Oak Ridge National Lab, at Los Alamos  
12 National Lab, and at Idaho National Lab.

13 And I know from prior experience the  
14 challenges at Oak Ridge is basically arriving at an  
15 interagency deal as to who's going to pay for what.  
16 And it does take a little bit longer. It doesn't  
17 mean you don't do it. Certainly in the end the  
18 steward of the facility office assigns -- in the  
19 case of the office of nuclear energy, in case of  
20 Idaho NNSA, in the case of Los Alamos, has the  
21 ultimate responsibility for the facility. But it --  
22 it just takes a little more time to work out some of  
23 those arrangements when there are multiple  
24 government agencies involved.

25 And I'm confident that we can figure out

1    how to get that done, but it will -- sometimes the  
2    difficulties extend beyond the agencies, because we  
3    have different committees of jurisdiction and  
4    Congress and different -- energy and water versus  
5    CJS probably for NASA, so it's work that needs to be  
6    done.

7                   CHAIRPERSON CONNERY:  Appreciate that.  
8    That sounds very complicated, and clearly it's an  
9    issue since 2009 that we've identified as a problem  
10   that's taken a long time to address.

11                   Ms. Roberson.

12                   MS. ROBERSON:  Thank you, Chair Connery.  
13   The laboratory does have a history of pushing back  
14   safety-related upgrades.

15                   While we're talking about upgrades, as  
16   shown in the table Exhibit 30, many of the upgrades  
17   keep slipping to the right.  For example, in 2011,  
18   the fire suppression seismic upgrades were to be  
19   completed in 2013.  That has slipped to 2026 in the  
20   latest estimates.

21                   At the same time, Triad is trying to  
22   accomplish a tremendous amount of construction work  
23   at other systems across the lab.  I recognize  
24   probably only Mr. McConnell has been around for that  
25   long, but I'd like to ask you, Mr. Mason, what do

1 you believe are the fundamental causes behind these  
2 delays?

3 DR. MASON: I guess the first thing I'd  
4 like to point out, recently Marv Adams, who works  
5 for Jill, as head of defense programs had occasion  
6 to give a talk where he was saying he was eagerly  
7 looking forward to the point in time where he had  
8 been able to tell people he had pulled the schedule  
9 to the left.

10 I guess it's our indication, as far as  
11 seismic upgrades, to pull things to the left.  
12 Hopefully shifts are not always in the same  
13 direction. You know, there -- there can be a number  
14 of reasons that things take longer than one would  
15 like, and I think we've experienced all variants of  
16 those reasons.

17 You know, usually, it -- there's a  
18 timeline to get funding. As the administrator  
19 mentioned, at the moment we're experiencing a rather  
20 difficult environment in terms of workforce, and I  
21 would say at the moment, rather unusually, at  
22 Los Alamos for our work in PF-4 we are primarily not  
23 funding limited. It pains me to say that as lab  
24 director. I have been trained to say I need more  
25 money, but in this particular case, at least right

1 now, we are more constrained by the capacity to  
2 execute the work, which gets to things like the  
3 availability of craft labor, the industrial  
4 capacity. We talked about the glovebox working  
5 group and so forth.

6 So at the moment that is more of what's  
7 driving the timelines in contrast to probably all of  
8 recorded human history up to this point where we  
9 would be able to point our fingers at funding being  
10 the major problem.

11 MS. ROBERSON: So are there things you can  
12 do or plan to do to address the shortage of craft  
13 workers?

14 DR. MASON: Yeah, this is a particularly  
15 important topic for us right now, and we have  
16 already been taking steps to try and alleviate the  
17 pressures. We saw -- actually within the last year  
18 we've seen an increase in attrition rates that we  
19 are experiencing, and so we have taken a number of  
20 steps to try and mitigate that, not just with the  
21 craft workforce but for the workforce as a whole.

22 We have been able to get approval from  
23 NNSA for some stipends, additional stipends for  
24 high-demand skills, things like electricians that  
25 are particularly in demand in New Mexico.

1           One of the challenges we have is oil and  
2 gas prices are high. The Permian basin is pretty  
3 lucrative work when you're a pipefitter. I do say  
4 we enjoy a good relationship with the New Mexico  
5 Building Trades Council. They have been working  
6 with us on some educational programs with area high  
7 schools, where we can get access to students who  
8 have an inclination to working with their hands and  
9 interested in pursuing the skilled trades, and that  
10 takes the form of an apprenticeship program with  
11 training provided by the New Mexico Building Trades  
12 program and apprenticeship working at the lab.

13           We're trying to develop the pipelines  
14 regionally, since most of that craft workforce is  
15 regionally recruited, and work with the educational  
16 institutions and community colleges to help us  
17 secure the workforce we need.

18           The good news is some of those steps are  
19 starting to show positive results. We have reversed  
20 the trend where our craft numbers were declining,  
21 and for the last six months they are headed back up.  
22 I think now, for the first time ever, I think the  
23 last weekly report I saw we were about 1,300. We  
24 still have a couple-hundred more to get in place to  
25 execute the work program ahead of us, so we're

1 looking at more innovative things that we may need  
2 to do, for example, in the area of transportation,  
3 but that's work yet to be done.

4 MS. ROBERSON: Thank you, sir. We wish  
5 you success. Any follow-ups? Okay.

6 For decades, the commercial nuclear power  
7 sector has qualified its equipment to ensure the  
8 functions for a defined period. This has benefits  
9 of increased reliability and focused maintenance and  
10 avoids the run-to-failure mentality. This does not  
11 seem to be the case at PF-4.

12 For example, as shown in Exhibit 31,  
13 NNSA's own investigators wrote that insufficient  
14 inspection, and I quote, coupled with a  
15 run-to-failure mentality, end quote, led to  
16 significant risk to workers.

17 Picture in Exhibit 36, the glovebox was in  
18 operation until an unused sample board failed and  
19 led to contamination.

20 Additionally, aging management is a key  
21 part of the board's recommendation 2020-1. In the  
22 recommendation, the board expressed concerns whether  
23 DOE can still safely operate and maintain aging  
24 facilities because safety systems may degrade and  
25 not be able to reliably perform their safety



1 functions.

2 So, Mr. Wyka, NNSA is investing  
3 considerable resources to rejuvenate the safety  
4 system infrastructure at PF-4. What are your  
5 thoughts on adopting a formal aging management  
6 program such as establishing qualified equipment  
7 pipelines to mitigate safety factors that could  
8 create safety issues and disrupt mission work?

9 MR. WYKA: Thank you, ma'am. Yeah, no, I  
10 think that's really important. You know, with aging  
11 infrastructure and with the issues that, you know,  
12 like what's identified in this, what you pulled up,  
13 work-control issues, work-site activities, as well  
14 as system configuration of doing the work that was  
15 designed to do, I think it's critically important  
16 that we do continue to make improvements, you know,  
17 in that type of planning.

18 MS. ROBERSON: Okay. Thank you, sir.  
19 Well, Administrator, I just put my two cents in. I  
20 think we are really appreciative of the leadership  
21 role NNSA has taken in the implementation of this  
22 element of our recommendation, but more importantly,  
23 we certainly hope NNSA see the benefit from the  
24 operations in the near-term and long-term, investing  
25 in something like this.

1 MS. HRUBY: You can be sure we do. One  
2 thing that hasn't been said yet that may be Thom can  
3 elaborate on a little bit is he and his -- he has  
4 changed his team to put people in place to pay more  
5 attention to things like this, different leadership.

6 And it might be worth, Thom, just  
7 explaining some of the changes you made in terms of  
8 leadership and responsibilities to pay attention to  
9 integrated operations and the safety systems.

10 DR. MASON: This was actually -- this was  
11 actually an important element of the proposal that  
12 we made to manage Los Alamos. And the -- probably  
13 the most relevant piece that was part of that  
14 proposal for PF-4 was actually change the operating  
15 model for the facility, and this was based on  
16 experiences that I had in my prior roles in Oak  
17 Ridge where I'd been responsible for the high-flex  
18 isotope reactor and the spallation neutron source,  
19 which is a large accelerator facility with a target  
20 that has an inventory equivalent to a hazard  
21 category 2 facility, although it's regulated under  
22 the accelerator order. And in both those cases, we  
23 found very significant benefits from having a more  
24 integrated management model.

25 And by that I mean for our standard kind

1 of lab spaces and office spaces, we operate under a  
2 landlord/tenant model. There's a facilities  
3 organization who operates those buildings, and there  
4 are researchers and staff who occupy those  
5 buildings, you know, as tenants. And, you know,  
6 there's an understanding between the landlord or the  
7 tenant of, you know, how much space charge you're  
8 paying and what services you get provided. There's  
9 not a need to really tightly integrate those things,  
10 because, you know, if you're in an office space, an  
11 office space is an office space. The hazards are  
12 quantified and don't depend on what your job is on  
13 Tuesday versus Wednesday.

14 For these highly complex integrated  
15 facilities like PF-4, that model, in my experience,  
16 really doesn't work very well, because the work that  
17 you're doing in the facility is an integral part of  
18 the hazard. You cannot separate the work at the  
19 facility from the hazard.

20 And so we created this organization, the  
21 associate laboratory director for weapons  
22 production, who has both the operational  
23 responsibility for the -- for the facility and is  
24 responsible for the work that will be going on in  
25 that facility, whether it's pit production or the

1 PU-238 is another production mission.

2 The work that we do for ARIES is not a  
3 production mission, and that, I think, is, you  
4 know -- if you -- if you distribute that  
5 responsibility, it's possible to operate well, but  
6 it's a whole lot harder, because now you've  
7 introduced additional interfaces and structural  
8 barriers between the -- the -- you know, the work  
9 that's being done and the safety work that needs to  
10 be done and upgrades and so forth. So that was a  
11 very important piece, and I think it has led to some  
12 improvement in operations.

13 Another change we instituted, more  
14 recently recognizing the large-level investments  
15 that's needed to get the infrastructure to where  
16 it's needed to be, we created within our weapons  
17 program organization a directorate for plutonium  
18 infrastructure.

19 Historically, the way the work was done in  
20 the facility was we had an organization that did  
21 capital projects, and they did all the capital  
22 projects, whether it was a glovebox in PF-4 P or  
23 replacing a small building, a warehouse at the  
24 firearms site. And when you had a small volume of  
25 work, you know, it made more sense to have a sort of

1 centralized organization that did everything.

2           Given the volume of work we have  
3 associated with the plutonium infrastructure, we  
4 felt it merited a dedicated organization where that  
5 is all they do. They don't have to spend part of  
6 their day worrying about the warehouse being  
7 constructed in the back-40 for the high-explosive  
8 programs. There's someone else that will worry  
9 about that.

10           In particular, since they have  
11 responsibility for all the infrastructure work in  
12 the TA-55 area, that allows us to better integrate  
13 the planning, because there are multiple funding  
14 models for all of that work. We have major items of  
15 equipment being funded by the programs. We have  
16 something called CMRR which is making investments  
17 in, for example, upgrading the ROO-lob facility to  
18 become a HAZMAT 3 nuclear facility. We have LAP4,  
19 which is the largest line item. All of that work is  
20 taking place in the same space with the same trained  
21 workforce with the same interface with production  
22 activities.

23           There are a number of organizational  
24 steps. The most important thing is actually not the  
25 org chart. It's who are the people that you

1 populate in those positions.

2 And, you know, we have re -- we've tried  
3 hard to blend people with a long experience at the  
4 lab who know all the nooks and crannies of that  
5 facility, because there is a lot of history there  
6 with people who have experiences from across the  
7 complex. Some of the work in PF-4 is actually more  
8 akin to the EM work, because the first part of that  
9 project is D&D, the removal of the old gloveboxes,  
10 so we brought in people from the EM program that  
11 have that experience.

12 We brought in people from the commercial  
13 nuclear industry who have experience with managing  
14 outages and major upgrades of commercial reactors.  
15 That's the closest analogy I could find to upgrading  
16 the facility while running it.

17 The combination of trying to get an  
18 organizational structure that doesn't make it  
19 harder, but hopefully easier, and bringing in a lot  
20 of people with good experience in other sectors to  
21 compliment the in-house larger staff that we have, I  
22 think it's helping us.

23 MS. HRUBY: Thank you for allowing us to  
24 do that, because I think it is the companion piece  
25 to the program, looking at hardware updates, you

1 know, as are we staffing, organizing for success and  
2 not just keeping a static model. So thank you.

3 MS. ROBERSON: Thank you all. Did you  
4 want to say something, Jim? I'm reading your eyes.

5 MR. McCONNELL: I couldn't add to that.  
6 That was very --

7 MS. ROBERSON: Thank you.

8 CHAIRPERSON CONNERY: Thank you. That was  
9 a great explanation about the structure of how Triad  
10 is operating.

11 I want to return to our Technical Report  
12 46, which highlighted the need to have safety  
13 controls in the event of release of a radioactive  
14 material from that waste container, in particular  
15 the containers stored outside the laboratory have no  
16 such controls to reduce the consequences as it  
17 relates. Triad has made great progress in reducing  
18 how many waste containers are stored outside, as you  
19 can see in Exhibit 32.

20 On the left is an outdoor storage area  
21 from 2019. On the right is the status from about a  
22 month ago. This is tremendous progress. However  
23 waste generation will increase as you remove legacy  
24 materials from PF-4.

25 And I'll just say I walked the basement

1 the other day and was extremely pleased with the  
2 progress of removing a lot of that material. But as  
3 you remove the legacy materials of PF-4 and ramp up  
4 pit production, there's going to be increased waste  
5 generation.

6 Mr. Wyka, I want you to take a moment to  
7 talk about the efforts you've taken to date.  
8 Obviously they've been extremely successful in any  
9 future initiatives you will take to minimize the  
10 number of waste containers that are stored outdoors  
11 to preclude that type of situation.

12 MR. WYKA: Yes, ma'am. I will do that. I  
13 appreciate the Technical 46. I think that helped us  
14 immensely, you know, in your deliberate and  
15 long-term actions dealing with incompatible  
16 materials, and as you know, I led the accident  
17 investigation on the WIPP and understand that  
18 significantly, and it allowed us to, you know, put  
19 special administrative controls in place to minimize  
20 cheesecloth for anything that was greater than  
21 12 molars of nitric acid.

22 With respect to your question on waste  
23 management, and this is an issue of partnership, you  
24 know, because that's a fundamental to pit  
25 production, is a lot of the other things that we



1 need to do, partly a large piece of that is handling  
2 waste, specifically TRU waste, and getting it into  
3 its proper place so that we can reduce our  
4 limitations as well as just a geographical storage  
5 location.

6 So this took a partnership between the  
7 entities here in New Mexico, so we formed an  
8 executive team, field office managers, myself, Mike  
9 Mikolanis in LA, who you met with earlier, as well  
10 as the Carlsbad field manager as well as the  
11 (indiscernible). Everybody was doing a great job.

12 It was by -- putting this team together  
13 was a way to look at where we could gain efficiency  
14 and effectiveness of the process. Statistics that  
15 used to take 500 days to get an average drum off the  
16 hill. If you look at the flow chart of the process,  
17 the drum doesn't move all that much. It's the  
18 paperwork, approvals and stuff. I think we were  
19 able to -- we're now at about 200, but to get us in  
20 pit production that needs to be in the tens of days,  
21 and that requires, you know, the leadership to look  
22 at, you know, where we can gain efficiencies and  
23 effectiveness in the process.

24 We had (indiscernible) review done on the  
25 process and using that to continue to make gains,

1 and we're seeing that. We're seeing that in the  
2 numbers in fiscal year '22. We completed 76  
3 shipments off the TRU weights. Expectation was 70.  
4 Used to be noteworthy to get a shipment off in a  
5 week. Now we're getting three to four shipments a  
6 week.

7 On-site TRU inventory has been reduced  
8 from 1,340 to 890 drums. Very significant. LANL  
9 reduced the number of drums on Hank pad and 480 pad  
10 by shipping to WIPP.

11 We're also using that partnership to open  
12 up apertures of other waste streams, you know, like  
13 the HNO<sub>3</sub> cheesecloth, which accounts for hundreds of  
14 drums up here. We're about ready to get approval of  
15 those as well as classified shipments. So it's that  
16 continuous partnership.

17 We meet on a monthly basis, the executive  
18 team, helping the people. We have done good things  
19 in the respective areas, providing that intercom  
20 where we're looking out of the box where can we gain  
21 efficiencies and effectiveness of the process.

22 DR. MASON: If I could add one thing to  
23 that. This is an area where working closely with  
24 our environmental management colleagues has been  
25 important. One of the things we've been able to do

1 is combine waste shipments. From my point of view,  
2 every truck is a precious resource, and we want to  
3 make sure that they are fully utilized. And  
4 sometimes by blending waste shipments between the EM  
5 legacy waste and the waste we're responsible for, we  
6 can get better utilization of that important  
7 resource.

8 CHAIRPERSON CONNERY: Thank you,  
9 Dr. Mason. I want to mention, since you weren't  
10 here for the earlier conversation, we had a similar  
11 conversation with EM, and we applaud the  
12 collaboration between all of the organizations to  
13 work on the waste management, and as you said, every  
14 shipment off of the hill, regardless of where it  
15 comes from, is important.

16 The citizens with whom we met over the  
17 past couple of days expressed some concerns, and I  
18 wanted to alert you to them. They don't want newly  
19 generated waste to replace the removal of the legacy  
20 waste.

21 I think Mr. Mikolanis as well as his team  
22 as well as you all made it clear it's about, you  
23 know, making the most of each shipment to make sure  
24 there's no empty space on those trucks when they go  
25 to WIPP.

1 DR. MASON: I would also say we have a  
2 shared fate with that program. We have had as  
3 strong an interest in getting the waste off the hill  
4 as anyone else. Certainly, as you say, anyone  
5 living in the state of New Mexico doesn't care  
6 whether it's a legacy waste truck or new waste drum,  
7 they want to see it disposed of.

8 MR. WYKA: If I can add, it's a  
9 partnership with our neighbors, with the pueblos and  
10 the neighborhood communities. I, as well as Thom,  
11 spent a lot of time talking with the pueblo  
12 governors on shipments, on -- in -- and even  
13 offering training in emergency management and plans,  
14 because as partners, they would, you know, have an  
15 aide in responding to things that happen. So it's a  
16 collaborative partnership not only with the Feds but  
17 with our native communities as well.

18 CHAIRPERSON CONNERY: I appreciate that,  
19 and I encourage you to continue with transparency.  
20 I hope you stay for public comments. You'll hear  
21 from some of the folks about the issue.

22 Switching gears to the issue that  
23 Dr. Mason brought up earlier about staffing  
24 requirements, this is a challenge we talked about a  
25 little bit across the country.

1           Exhibit 33, you can tell that Triad has  
2 been staffing to meet the increasing mission  
3 requirements. We suspect that sometimes different  
4 mission components compete with one another for  
5 existing staff. It happens. Like I said in our  
6 afternoon session, we learned that. Increased  
7 competition at LANL, this could increase competition  
8 and may create an unstable staffing environment  
9 between influx of new folks and existing staff  
10 changing roles. Staff stability is important  
11 because it can take a nuclear facility worker  
12 multiple years to become fully effective in their  
13 duties.

14           And the average age of workers decreased  
15 significantly, which in some way is a good thing,  
16 but it reduces the number of years of experience as  
17 well.

18           So, Dr. Mason, you spoke about this a  
19 little bit earlier with regard to craft. I'd like  
20 to understand what Triad is doing to minimize  
21 staffing instability, particularly with positions  
22 that include nuclear safety.

23           DR. MASON: So just to sort of frame the  
24 discussion referring to this new graph here, in FY22  
25 the number that we used for our staff is the 15,000

1 number that's cited there. That includes permanent,  
2 full-time staff of the laboratory. It includes the  
3 craft workforce that I discussed. It also includes  
4 integrated subcontractors like the protective force  
5 that provides the security for PF-4, amongst other  
6 things. Also includes postdoctoral fellows and  
7 students. So it's basically, you know, everyone who  
8 comes to work at the lab with the exception of, you  
9 know, construction, subcontractors, for example, are  
10 not included in that number.

11 As you can see, it's been growing. In  
12 fact, if you go back a couple of years, we were  
13 growing at about -- well, we were hiring about 1,000  
14 to 1,200 people a year and losing about five to 600,  
15 just normal attrition turnover given the  
16 demographics of our organization.

17 Obviously, that began to ramp up. You see  
18 the budget increase, particularly in FY21. We saw a  
19 significant budget increase not solely due to the  
20 PF-4 position, but that's the largest. As a result,  
21 we've had to ramp up our hiring.

22 The FY22, the goal I set for the lab was  
23 to hire 2,000 new staff. We actually hired 2,077,  
24 so that was good. We actually beat the target. The  
25 thing that I did not anticipate was that our

1 attrition would jump from that five to 600 a year  
2 that we'd been tracking with, as I said, based on  
3 demographics, to almost doubling. We lost 1,200  
4 people in FY22. Our net growth was 1,000. We had  
5 been planning for a net growth of 1,500. Even  
6 though we met our hiring target, we fell short of  
7 our net growth because of the increase in attrition.

8           The increase in attrition was not an  
9 increase for retirements. We have a good model for  
10 when to expect people to retire. We know how old  
11 they are, how long they've been at the lab. A lot  
12 of people stick around for a long time, but  
13 eventually there's grandkids and so forth, and they  
14 don't return.

15           The increase in attrition was  
16 predominantly in the young staff who had zero to  
17 five years. As you mentioned, that's painful for  
18 us. It takes a while for people to become effective  
19 in our environment. Typically you have to first get  
20 security clearance. And if you're in PF-4, you're  
21 in the human reliability program, and then there's  
22 specialized training that's required to become, for  
23 example, official materials handler. And, you know,  
24 those are -- these are not skills that are really  
25 taught. You know, you can't go to university and

1 get a degree in how to make nuclear weapons. That's  
2 a good thing. We like that that's not widely  
3 disseminated knowledge.

4 We invest a lot to get our staff to get to  
5 where they need. If they leave in year four, we  
6 have to start again. As a result, we've been --  
7 this increase until attrition is not unique to  
8 Los Alamos. It's been manifested all across the  
9 NNSA. It's certainly a nationwide thing. You read  
10 about the great retirement -- or great resignation,  
11 rather, and the pandemic, and that's causing people  
12 to reevaluate what they're doing. And of course  
13 some interest in just remote work, and you can't  
14 make pits in your garage. I'm sorry. That's not  
15 going to happen. Can't do classified work at home,  
16 so forth.

17 So we can't necessarily completely respond  
18 to those challenges. In the areas we can respond,  
19 we're working hard to do so. We recently -- last  
20 year we implemented a new work locations policy that  
21 does allow for some hybrid and telework for  
22 occupations for where it's possible to do that.

23 We, together with other NNSA sites, with  
24 the approval of NNSA and administrator's help, were  
25 able to do a midyear salary adjustment which, to my



1 knowledge, has not happened as long as I've been in  
2 the system, which is 25 years or so. Normally  
3 there's an annual cycle. We get approval, it  
4 happens in January, and partway through the year we  
5 saw the attrition numbers. We said, we can't wait,  
6 did a midyear salary adjust. It's not huge, but it  
7 helps.

8 We've been able to increase the funding  
9 for promotions, which is important in an environment  
10 where one of the reasons people leave is because  
11 we're experiencing high inflation. One way to  
12 address that is to move to a job where you get a  
13 promotion and increase in salary.

14 If the lab doesn't have sufficient  
15 promotion funds to offer opportunity for staff that  
16 are eligible, it's essentially encouraging them to  
17 look elsewhere. That's another step we took.

18 In September we announced a number of  
19 changes to our benefits packages. So it's not just  
20 compensation to ensure that we remain competitive.  
21 The lab had actually pretty good benefits for people  
22 with a lot of tenure but not so good benefits  
23 particularly for the new staff. We approved the  
24 benefits for everyone.

25 But most of the investment was really

1 targeting where we were seeing the greatest  
2 attrition. I would say now we have very competitive  
3 benefits, and we're trying to address the  
4 compensation. We are hiring.

5 I'm speaking to the cameras and the  
6 audience. You know, if you're interested, we're  
7 going to have to continue to grow, and we're not  
8 going to be successful unless we can both attract  
9 and, even more importantly, retain staff in order to  
10 do our mission.

11 CHAIRPERSON CONNERY: I will note to my  
12 staff, he was not talking to you.

13 So along the same lines over the past few  
14 years, our resident inspectors have informed us that  
15 Triad is making concerted efforts to identify late  
16 career staff with superb track records and put their  
17 skills to use mentoring the next generation. We  
18 also understand as folks retire, you're trying to  
19 compensate by identifying high-performing staff and  
20 putting them in rotation.

21 I'm curious how well this is working, and  
22 is it a model that can be replicated in other places  
23 and does it balance short-term losses in  
24 productivity with overall longer term need to grow  
25 the entire workforce?

1 DR. MASON: Some of those changes actually  
2 came about really as a consequence of some of the  
3 organizational changes I discussed earlier. There  
4 was an initiative within the weapons production  
5 organization to get mentors on the floor.

6 It's part of a broader initiative we have  
7 that's focusing on first-line managers, because I  
8 think we generally believe, and we have evidence to  
9 support our belief, that the biggest impact we can  
10 have in terms of the safety of our operations is  
11 having first-line managers who are engaged on the  
12 floor coaching, providing guidance to their staff.

13 Part of it is providing mentors,  
14 experienced people. In some cases they need to be  
15 retirees who have had successful careers who are not  
16 interested in working full-time but come back  
17 part-time and work with recently appointed  
18 first-line supervisors to help them grow into that  
19 role. So that's -- that's, I think, one important  
20 element.

21 We've also instituted -- we're taking  
22 advantage, actually, of a program for one of the  
23 parent companies of Triad, LOSA, which is the lab  
24 operations supervisors academy, which is a scenario  
25 based experiential training program, where we have

1 real-word scenarios that actually happened, you  
2 know, in labs where managers are sort of placed in  
3 difficult situations.

4           You know, someone who's coming down hard  
5 on you because you're behind schedule, but you've  
6 got some issue that needs to be addressed that  
7 requires taking the facility down. How do you  
8 navigate, you know, those competing pressures. So  
9 we have our first-line supervisors walk through  
10 those exercises with people role-playing, changing  
11 it up. One time they're in one role, the other time  
12 you could be pretending to be Ted and observing  
13 this, and that we found to be valuable as well.

14           You know, I think the challenges we have  
15 with staffing and stuff coming in with less  
16 experience are occurring elsewhere in the complex so  
17 absolutely there are opportunities to share those  
18 lessons, and we're both trying to take good ideas  
19 from other places and also working to export what  
20 we've earned -- what we've learned.

21           I would say, we've actually taken a look  
22 at this, and when things happen, when there's an  
23 off-normal event, of course we always do an analysis  
24 to determine, you know, what happened, what are the  
25 root causes, what are the steps we need to mitigate.

1 One of the things we've tried to be alert to is are  
2 we seeing things happening because we have a lot of  
3 new staff that have less experience.

4 And actually, maybe a little bit  
5 surprising in many cases, that is not really the  
6 driving factor. In fact, we're finding a lot of new  
7 staff who are coming in because we've set up things  
8 like our new-employee training academy. They're  
9 getting a kind of uniform exposure with how to do  
10 things are coming in in a way that, in fact, can be  
11 educational for the long-time staff.

12 So it's not simply a case of, oh, you have  
13 all these inexperienced staff, and they will make a  
14 mistake. Yes, they will. That's why it's good to  
15 have experienced people around them. They come in  
16 with a lot of different skills that are things that  
17 maybe people like myself that have been around  
18 longer didn't have the opportunity to learn them.

19 So I think there can be a lot of give and  
20 take between the new staff and the experienced staff  
21 to the benefit of both.

22 MS. HRUBY: If I could just say a little  
23 bit here, because I think everybody else with me  
24 could testify that we're spending an enormous amount  
25 of time on this staffing issue and energy and trying

1 to effect a cultural change associated with the way  
2 the National Nuclear Security Administration works  
3 with our labs, plants, and sites to enable  
4 competitive environments because of this attraction  
5 and retention issue.

6 And it's my, you know, belief that -- I've  
7 been in the complex 40 years in January, actually,  
8 and there was never a midyear salary adjustment, so  
9 I can speak for at least that one. And that was  
10 like -- there was a big need, and we found -- we  
11 said, we can do this, right? And we did in the  
12 timeframe that mattered.

13 And it's not only that, but many other  
14 initiatives to relax parameters on benefits and so  
15 forth so that Thom and his colleagues who manage  
16 these institutions can do the right things for the  
17 localities, and then we can learn from one another,  
18 and we talk about it every time we're together as a  
19 group.

20 And so we -- we will -- we -- our  
21 workforce, our NMEQ contractors, they're never --  
22 you know, you're not going to compete with  
23 successful start-up companies and a lot of other  
24 things, but we can do -- we can spend our money  
25 better, and we can stay more competitive, and we --

1 I mean, I intend to make this, you know, as  
2 important as anything else, because it's the only --  
3 the only way we're going to deliver, you know, our  
4 mission safely, securely, and all the things we need  
5 to do.

6 So I think Thom at Los Alamos has done a  
7 fabulous job. This is throughout the complex.

8 Thanks.

9 CHAIRPERSON CONNERY: Thank you. Tom?

10 MR. SUMMERS: Thank you, Chair Connery.

11 To follow up with this line of discussion, and  
12 really appreciate your candid responses.

13 To Dr. Mason, over the last five years  
14 Triad has hired many people, as you said. In  
15 response to this hiring blitz, Triad's developed  
16 substantial new-employee training programs, and you  
17 had mentioned specifically the new-employee training  
18 academy.

19 Figure 34 shows some of the new training  
20 centers and program documentation. I was lucky  
21 enough to tour one of those centers over the summer,  
22 and I was very impressed by what I saw.

23 Dr. Mason, we understand that seasoned  
24 employees do not go through the rigorous training  
25 that is designed for the new employees that you're

1 referring to. Can you discuss whether there is  
2 currently a conflict between how the new employees  
3 perform work based upon their training and how the  
4 seasoned employees perform work based upon their  
5 training experience?

6 DR. MASON: Yeah, I leave it to the fact  
7 there is a difference in the experience, and I  
8 wouldn't characterize it as a conflict necessarily.  
9 I think there are definitely things that the new  
10 employees need to learn from the experienced  
11 employees who know the facility, know how to operate  
12 in that environment.

13 And, you know, that experience base is not  
14 something that we want to give up on, but I think  
15 that the -- the advantages that we're seeing from  
16 the approach that we're taking, which was, you know,  
17 shamelessly borrowed, actually, from the Navy, what  
18 is -- is that there is a good, common understanding  
19 of expectations, and, you know, it's designed to get  
20 people to a point of effectiveness, you know, sooner  
21 than would otherwise be the case.

22 When you're only hiring a very small  
23 number of people, the tendency historically was we  
24 put them into a work environment, and they learn by  
25 mentorship and doing. That works with a small



1 number of hires. It's not scalable to what we're  
2 doing at the moment, so we had to do something  
3 different. But we are seeing significant benefits,  
4 and, in fact, I think that dialogue between the  
5 senior staff and new-hires is two-way dialogue for  
6 that reason.

7 I would say that we are also working to  
8 provide more training for the incumbent staff also.  
9 I mentioned this operation supervisor academy is one  
10 example. We're doing something called management  
11 boot camp, and of course there's a lot of ongoing  
12 training requirements for the facilities where  
13 there's annual qualifications that are required, and  
14 we're working to improve that since, at times, the  
15 sort of canned PowerPoint presentation is not  
16 necessarily the best way to touch people's hearts  
17 and minds.

18 MR. SUMMERS: Thank you Dr. Mason.

19 Chair Connery.

20 CHAIRPERSON CONNERY: Ms. Roberson.

21 MS. ROBERSON: Thank you, Chair Connery.

22 Earlier this year the NNSA field office requested an  
23 assessment of conduct of operations of PF-4  
24 following a series of significant operational  
25 events.

1           For the public's awareness, conduct of  
2 operations is a way of ensuring work is performed in  
3 a formal, predictable manner that minimizes errors.  
4 One example might be strictly following procedures.

5           One of the events of concern occurred in  
6 2021 when a worker jammed open a field valve,  
7 causing 1,800 gallons of water to spill onto the  
8 storage vault floor, as picture in Exhibit 35. We  
9 have a quote from that assessment we would like to  
10 highlight in Exhibit 35.

11           In summary, it states that there's an  
12 expectation for NNSA facilities to have the same  
13 level of conduct of operations as nuclear Navy and  
14 commercial nuclear power programs, but NNSA  
15 facilities are not resourced to allow for that.

16           So, Administrator Hruby, does NNSA expect  
17 Triad's level of formality of operations to be on  
18 par with the nuclear Navy and the commercial nuclear  
19 power plant?

20           MS. HRUBY: Yes.

21           MS. ROBERSON: Okay.

22           MS. HRUBY: Unequivocally yes.

23           MS. ROBERSON: What is being done to get  
24 there?

25           MS. HRUBY: Again, just sort of going back

1 to the discussion we just had about training,  
2 staffing, doing things to enable mission success.

3 So one -- let's see. As you may know, the  
4 Naval reactors program reports to me as well, so we  
5 have an opportunity to know up close and personal  
6 some of their programs, and, you know, we -- it  
7 never works to copy something exactly, but Thom has  
8 described a really impressive set of training  
9 classes that they put in place at Los Alamos, and I  
10 can say that, you know, other -- our other labs and  
11 sites have done some other similar things. We have  
12 to also empower the employees and have good  
13 oversight and bureaucracy.

14 You know, I, earlier in my career when the  
15 Department of Homeland Security was stood up, I had  
16 the opportunity to support from the lab -- from  
17 Sandia, and for the first time I realized all of  
18 advantages of bureaucracy when I saw an organization  
19 that was created without any.

20 There is some need for bureaucracy and  
21 oversight, but it has to be done in a way that  
22 empowers employees and produces innovation and  
23 creativity and not just be burdensome and drive them  
24 away to places they feel they could be more  
25 productive.

1           So in addition to the things that we  
2 talked about in terms of competitive benefits, in  
3 terms of training to attract and maintain the right  
4 kind of people who are also trying to work on having  
5 productive -- a productive and efficient enterprise  
6 that makes people feel good about what they do every  
7 day, and now they come to work, so those are all the  
8 elements that we're trying to put together.

9           This is not easy, and its results won't be  
10 immediate, but we -- we're spending a lot of time  
11 trying to define what it is, talk to people about  
12 it, and make it happen.

13           MS. ROBERSON: Thank you, Ms. Hruby.

14           Dr. Mason, you've cited a list of  
15 initiatives you're undertaking organizationally, and  
16 we appreciate those. For the record, I wonder if  
17 there's some significant gaps that you're still  
18 trying to fill when it comes to modeling yourself  
19 that way.

20           DR. MASON: Yeah, I think specifically  
21 with regard to conduct of operations. That's --  
22 that's something that we're still trying to build  
23 into the culture. I mean, our programs are  
24 certainly based on the lessons learned from the  
25 nuclear Navy and commercial nuclear power programs.

1 I would say that -- that there are some  
2 important differences, not in terms of the  
3 expectation of, you know, adherence to procedure  
4 when there are procedures and so forth. I think the  
5 expectations really do have to be the same. I think  
6 the difference is that, you know, the PF-4 facility  
7 has a very diverse mission and lots of different  
8 sorts of operations that change.

9 One of the things that it does is  
10 research, which sort of by definition is going to be  
11 different every time. I would say pit production  
12 tends closely toward the model you see in the  
13 nuclear Navy or commercial nuclear in the sense once  
14 we get up and running, we will be more in a routine  
15 mode of doing the same sorts of operations in the  
16 same way. That one will more closely resemble;  
17 wherein other parts of the facility where you're  
18 doing one-offs, you will have more flexibility.  
19 That doesn't remove the need to do things right.

20 I think we're also trying to apply sort of  
21 the concept of conduct of operations more broadly  
22 across the lab, not in the sense of capital C,  
23 capital O conduct of operations, which has a  
24 particular connotation, you know, its own DOE order  
25 422 for nuclear operations, but more what you might

1 call disciplined operations, which may be applicable  
2 even in nonnuclear environments.

3 And in some respects, actually, you know,  
4 the nuclear facilities are probably more mature than  
5 some of the other operations, although I will say in  
6 terms of high explosives work we do, certainly no  
7 one would say that's not high hazard operations, it  
8 doesn't look that different. We're trying to make  
9 sure we get that promulgated more broadly across the  
10 lab.

11 I will say at this point we have areas of  
12 the lab that do really, really well, areas within  
13 PF-4 that do really, really well. What we're trying  
14 to do is take those examples and propagate them, you  
15 know, into some of the areas where it's maybe not as  
16 embedded in the culture and the way of thinking.

17 MS. ROBERSON: Thank you, sir.

18 CHAIRPERSON CONNERY: Mr. Summers.

19 MS. ROBERSON: I'm sorry. Mr. Wyka, want  
20 to speak to that?

21 MR. WYKA: If I can address it from a  
22 field office perspective.

23 MS. ROBERSON: Absolutely.

24 MR. WYKA: I know it's been a good  
25 partnership on operations, and we talk about mission

1 focus, getting the job done. It has to be done  
2 safely and securely. Key to getting that done is  
3 conduct of operations and discipline of operations.  
4 It's a -- it's not just another requirement. It's  
5 how things are done at the lab, and that's the  
6 culture that the lab leadership is putting in place,  
7 and that's what we sort of see, and that really  
8 enables mission work. It's really the foundation  
9 for the laboratory safety culture as well.

10 A lot of improvements in this area, a lot  
11 of it is training that is done for existing  
12 employees as well as new people coming in, but it's  
13 also leadership on the floor. You walk on the  
14 floor, walk in the spaces, a realtime way to express  
15 their expectations with respect to discipline  
16 operations just like safety and security.

17 You know, LANL's kind of operations are  
18 based on programs of the nuclear Navy, where I came  
19 from, as well as commercial nuclear programs. It's  
20 more -- it's something that has to be done sitewide.  
21 Discipline operations, as Thom mentioned, no matter  
22 where it happens at the lab, it's still the same  
23 results, and it's also a unique aspect with the lab  
24 culture and also pivoting. They come to another  
25 culture. It's more important for that discipline of

1 operation, conduct of operation to be pieces of it.

2 We talked about bringing in new staff.

3 It's a challenge, but it's also an opportunity. And

4 I know that has -- the lab has taken the opportunity

5 to understand operations and conduct of operations

6 which are throughout the lab.

7 MS. ROBERSON: Thank you, sir.

8 MR. SUMMERS: Thank you, Ms. Connery.

9 My next question is going to be for

10 Mr. Wyka. We would be interested in hearing your

11 perspective on field office oversight, especially on

12 nights and on weekends.

13 So Triad has aggressively ramped up their

14 work during nights and weekends, as we're all aware.

15 This includes hazardous activities, such as removing

16 old contaminated gloveboxes and other pieces of

17 equipment like those we see on the right in Exhibit

18 36.

19 I understand that NNSA is not yet staffed

20 up fully to provide consistent Federal oversight

21 during off hours.

22 So, Mr. Wyka, do you believe that there

23 are activities in the near future that occur

24 off-hours that require Federal oversight?

25 MR. WYKA: Thank you, Mr. Summers. This



1 is really an important area. It's an area where we  
2 made a lot of improvements as well.

3 You're right, this is an exciting time,  
4 exciting place, as we talked about today, and it  
5 requires a great Federal staff, which I have the  
6 privilege of supporting, and we have to have the  
7 personnel on that staff to do that.

8 And it's a unique office in the sense that  
9 we have most of the same things that other field  
10 offices have, but we have sort of the pivot in terms  
11 of mission, keeping the (indiscernible) complex of  
12 the lab but then pivoting also the pit production,  
13 which requires different functions in terms of  
14 safety-basis approval, start-up activities, 24/7  
15 operation, like you mentioned, security pieces,  
16 projects, permitting, which is an immense ask, as  
17 well as community engagement.

18 Everything we do here we have to  
19 effectively communicate with the community. Over  
20 the last year, and this is with leadership's  
21 attention and making this happen for us, we've had  
22 the same challenges that the lab has in terms of  
23 recruiting people, retention, getting them here,  
24 keeping them here.

25 We have 11 retirees from the field office.

1 We have a staff of 80. We're at about 100 now. The  
2 ceiling is 102. A big focus has been across the  
3 board, but in terms of safety and operations of  
4 facility representatives, for example, we had seven,  
5 you know, a year ago. We have 16, and six of them  
6 are phase two qualified, and we're actually bringing  
7 in folks that have left or were previously PF-4  
8 qualified coming back.

9 So, you know, I think from an oversight  
10 perspective we're supporting 24/7. In my mind, we  
11 need at least six, and I need to get nine backups.  
12 We're on target to do now. It's across the board  
13 for everything. Nuclear safety specialist, we have  
14 a cap for nuclear safety specialist.

15 Again, the thing I mentioned earlier, it's  
16 not just the field office. It's the enterprise. We  
17 rely on resources from all the other field offices.  
18 They rely on resources from us as well as  
19 headquarters so that we take advantage of the SME  
20 and leverage of resources that's available across  
21 the complex to do those missions I was talking about  
22 from the field office.

23 MR. SUMMERS: Mr. Wyka, I appreciate that  
24 as you build towards the nine that you hope to have,  
25 I would imagine soon that the six that you have --

1 is that sufficient resources to be able to provide  
2 weekend and evening activity coverages to provide  
3 sufficient Federal oversight?

4 MR. WYKA: Thank you, sir. It is. It's  
5 not optimum, but it's enough to provide coverage,  
6 obviously, during the days and sporadically and  
7 evenings and swing shifts, but then I have others  
8 that are (indiscernible) qualified, SMEs that I can  
9 use for oversight activities for back shifts and  
10 swing shifts where we do construction and  
11 maintenance and other type activities.

12 MR. SUMMERS: Thank you, Mr. Wyka.

13 Madam Chair.

14 CHAIRPERSON CONNERY: So we just heard  
15 you're in the Los Alamos field office, which we see  
16 in Exhibit 37 is making some gains. It still needs  
17 to grow the workforce to align the Federal  
18 accountability. We know from our own experience  
19 trying to hire inspectors the cost of living in the  
20 Los Alamos region can be an impediment to attracting  
21 talent. We also know that your Federal workforce  
22 has constraints on compensation options not faced by  
23 your contractor partners.

24 Can you discuss your views on whether  
25 NNSA's hiring authorities support the current need

1 for Federal oversight?

2 That's to you, Ms. Hruby.

3 MS. HRUBY: It's a complicated question.  
4 So we have -- let me take it -- let me pull it  
5 apart. So one thing is do we have enough people,  
6 and that is a discussion that we have every time  
7 during a budget process. We have a goal, but we  
8 have trouble honestly getting approval for the  
9 number of people that we feel we need every year, so  
10 we -- we, you know, compromise, and we work hard,  
11 and this is a process that's led by Frank Rose, the  
12 principal deputy, to allocate the people to the  
13 places we really feel they're needed.

14 So Ted talked about, you know, his cap. I  
15 mean, we put -- he was so far below his cap, he  
16 didn't need more people. He needed help filling the  
17 slots. And there was attention put on that  
18 particular problem, and special -- special help to  
19 not -- but, you know -- special -- we really said  
20 we've got to -- we need the Los Alamos field office  
21 to be staffed up and put a real emphasis on that  
22 with some success, with a lot of success, actually,  
23 and the quality of people are really remarkable as  
24 well.

25 There is also, do -- are we getting in our

1 own way in terms of in how we hire and the processes  
2 we use for that. So there's the numbers and  
3 optimizing the amount of time it takes and the way  
4 to attract people and the way to appropriately pay  
5 the Federal employees as well.

6 And we are also -- there's room for  
7 improvement there. I think we have improved. We  
8 need to continue to do so. So we continue to look  
9 for opportunities to have a process that attracts  
10 the kind of people that we want in a timely manner  
11 that we need them.

12 I don't know, Jim, if you want to say  
13 anything here, because you also pay a lot of  
14 attention to this.

15 MR. McCONNELL: Right. We have -- the two  
16 problems at the NNSA, or the two challenges that the  
17 administrator talked about, what is the top line,  
18 what is the numerical number we can bring onto the  
19 Federal part of our team and the resources to cover  
20 those. Have to have training, travel, those sorts  
21 of things.

22 Then there's the speed and ability to keep  
23 up with the gap between -- at any given time there  
24 are dozens of unfilled positions across NNSA, and if  
25 we could figure out how to hire those good people a

1 little faster, we would operate closer to our top  
2 margin, and that would have an immediate benefit, so  
3 we have to work on both of those things, and we are.

4 I can -- I can attest that, you know,  
5 among all the busy things, with Ukraine and all the  
6 other things that are dragging on the  
7 administrator's time, her focus on this is, in my  
8 recent experience, greater than or certainly no less  
9 than any other administrator, and so reflects that  
10 the performance is a direct reflection of the  
11 priority that the administrator puts on it.

12 CHAIRPERSON CONNERY: I can add some of  
13 these things are out of your control. Obviously you  
14 can speed up the process and push for my -- I was  
15 alluding to outside of your purview, your wish list  
16 with regards to potential locality pay, better  
17 incentives. We talked about benefits packages,  
18 relocation benefits. Are there numbers that you  
19 could use or that you'd consider asking Congress for  
20 to help you in that scenario?

21 MS. HRUBY: Yeah, I'm -- I'm confident the  
22 answer to that is yes, but honest -- I will also be  
23 honest with you that that has not been our emphasis  
24 yet. Our emphasis first was to get -- still trying  
25 to get the numbers right, trying to get the

1 allocation of those right, and trying to hit those  
2 targets.

3 But given -- we'll see where this economy  
4 goes, but we may need more tools in the toolkit, you  
5 know, if it continues and on the path it's been the  
6 last year or so.

7 MR. McCONNELL: One of the things -- I'll  
8 just express if I had some way to wave a magic wand  
9 to have a wish granted, it would be to make it  
10 easier to move people around on details between  
11 various parts of the Federal organization, and  
12 honestly, between the Federal organization and our  
13 NMO partners, that the step change and the  
14 performance and understanding of the overall  
15 enterprise, if we could figure out how to be more  
16 dynamic in how we let people acquire experience, I  
17 can't think of a thing that would have a more  
18 immediate step change than that, and it is fraught  
19 with lots of challenges.

20 CHAIRPERSON CONNERY: That sounds like a  
21 longer conversation, the pluses and minuses.

22 I'm mindful of time. I did want to get to  
23 public comment. I want to to be specific, and I  
24 know, Mr. Wyka, you talked about the fact you've got  
25 calls in to folks for backups. I was a little

1 shocked when we went and toured PF-4 and realized  
2 you had one fully qualified fact rep for all of  
3 PF-4. I kind of want to understand what happened,  
4 and what are you doing to get folks qualified,  
5 because that just seems unhelpful.

6 MR. WYKA: Thank you, ma'am. Right. As  
7 of now we have one phase one qualified fact rep in  
8 PF-4. We're in the process now of converting six  
9 fact reps that are fully qualified phase two. We're  
10 moving into positions to support PF-4 as well as we  
11 brought a couple back that were previously PF-4 fact  
12 reps that should go through accelerated  
13 qualifications, and we're also using others on the  
14 staff that were PF-4 qualified fact reps to do that  
15 type of oversight as well.

16 CHAIRPERSON CONNERY: Thank you. I  
17 appreciate that. I'm going to turn to my other  
18 fellow board members. Do you all have additional  
19 questions you want to ask at this time?

20 Mr. Summers?

21 MR. SUMMERS: Thank you, Chair Connery. I  
22 don't have any further questions. Thank you very  
23 much.

24 CHAIRPERSON CONNERY: Ms. Roberson?

25 MS. ROBERSON: Just one follow-up



1 question, Mr. Wyka. Do you know when you're going  
2 to have two? I mean, you know you've got them in  
3 qualification. There's a lot of stuff going on in  
4 the facility.

5 MR. WYKA: Yeah, that's in real near term  
6 to have at least several within PF-4, but again, the  
7 one plus additional folks that are PF-4 qualified,  
8 fact rep qualified, also spend time doing oversight  
9 in PF-4 as well as subject matter experts.

10 MS. ROBERSON: So in your term?

11 MR. WYKA: Yes, ma'am.

12 MS. ROBERSON: No further questions.

13 CHAIRPERSON CONNERY: I just want to  
14 know -- I moved the schedule to the left. So this  
15 actually concludes the question portion of the  
16 hearing, and what I would like to do now is to go --  
17 it's -- what time is it? It's quarter to 8:00. I'd  
18 like to take a break until eight o'clock. At that  
19 point in time is when we would invite the public to  
20 make public comments.

21 If you signed up already, there should be  
22 a list. You'll be called in order that you're on  
23 that list. If you haven't signed up yet, now's your  
24 chance. Please go forward and sign up to speak. We  
25 encourage the folks from LANL and NNSA to stay. The

1 board will make closing comments. You can sit in  
2 the audience.

3 Depending on how many people sign up will  
4 determine how long we'll give you to speak. We'll  
5 just have to do that math in a moment.

6 So I do want to, in the interim, thank the  
7 panelists for their candor and their openness in  
8 answering our questions.

9 Let's take a brief recess until eight  
10 o'clock and return for public comment. Thank you.

11 (Recess was taken from 7:47 to 8:04.)

12 CHAIRPERSON CONNERY: We're going to keep  
13 the public comments to about a half an hour, but we  
14 will not limit if there's anyone else that wants to  
15 come up and speak. And for those of you who were  
16 there last session, as you recall it was our  
17 associate general counsel who was doing the  
18 timekeeping. He's going to alert you at one minute  
19 let so that you can wrap up your remarks.

20 So I'm going to turn it over to our  
21 general counsel. I want to let you know that the  
22 administrator and her staff had to go to  
23 Albuquerque.

24 We have representatives from the field  
25 office, and Dr. Mason and Mr. Wyka are here.

1 They're interested in hearing your comments.

2 With that, I'll turn it over to Mr. Fox.

3 MR. FOX: At this time the board would  
4 like to provide an opportunity for comments from  
5 interested members of the public. A list of those  
6 speakers who have contacted the board is posted at  
7 the entrance to the room.

8 We have generally listed the speakers in  
9 the order in which they contacted us. I will call  
10 the speakers in this order and ask that they state  
11 their name and affiliation at the beginning of their  
12 comments. There is also a table at the entrance to  
13 this room with the sign-up sheet for members of the  
14 public who wish to make comments but did not have an  
15 opportunity to notify us ahead of time. They will  
16 follow those who have already registered in the  
17 order which they have signed up.

18 To give everyone wishing to make a comment  
19 an equal opportunity, we will ask the speakers limit  
20 their comments to five minutes.

21 As the chair mentioned, I will provide  
22 notice when you have one minute remaining in your  
23 five-minute time slot.

24 We will give consideration for additional  
25 time if the schedule allows. Remarks should be

1 limited to comments, technical information, or data  
2 concerning the subject of tonight's hearing.

3 Our first speaker is Jay Coghlan from  
4 Nuclear Watch New Mexico.

5 MR. COGHLAN: So as stated, I'm Jay  
6 Coghlan, C-O-G-H-L-A-N, Nuclear Watch New Mexico.

7 Chair Connery, Board Members Summers and  
8 Roberson, and staff, thank you for this opportunity  
9 to comment and for you all being here, for your  
10 diligent work and oversight.

11 I'm going to start by congratulating the  
12 board for surviving DOE order 140.1 which sought to  
13 restrict your access. I can't think of a higher  
14 compliment for the board than the fact that DOE so  
15 severely tried to restrict your access, so it's a  
16 real pleasure for me to see you all sit here and  
17 robustly question the NNSA administrator, the LANL  
18 director, et cetera. So again, congratulations and  
19 here's hoping you have many more years of it.

20 I want to first start by actually straying  
21 from the purview of the safety board a little bit.  
22 I feel entitled to do so because NNSA administrator  
23 Jill Hruby -- I'm disappointed she's not here, so  
24 she can't hear me, but perhaps others can convey my  
25 remarks to her -- but she invoked both the new

1 nuclear posture review and the sacred cow of the  
2 quote deterrence.

3 And the point I want to make, first of  
4 all, is the US, and for that matter the USSR, now  
5 Russia, never had just deterrence to begin with.  
6 It's always been a hybrid of deterrence, maintaining  
7 nuclear war fighting capabilities. That kind of  
8 destroys civilization. That's why we have thousands  
9 of nuclear weapons and a 1.7 million dollar  
10 modernization program.

11 And to fall back on -- and I'm going to  
12 add to this. As part of this modernization, it's  
13 quite likely that future pits will differ  
14 significantly from their original tested pedigree.  
15 This is something that I don't think the LANL  
16 director or NNSA in general has been forthwith  
17 about. I think there should be more discussion  
18 about this and what the national security  
19 implications of this could be, because if we're  
20 going to come out with new pits that differ  
21 significantly from original designs, that could  
22 arguably erode confidence in stockpiles reliability  
23 or even lead to the resumption of testing.

24 I'd like to hear people. Obviously not  
25 here now. I'm talking about outside this forum.

1 But I think NNSA Administrator Hruby and LANL  
2 Director Thom Mason should address that kind of  
3 subject, and I would say specifically that they  
4 ought to do -- there should be a new pit-aging study  
5 as per the criteria that the JASON laid out in their  
6 2019 letter report.

7 But with that, I'll veer back into what I  
8 understand to be the purview of the safety board.  
9 I'll have to look at my notes a little bit here.

10 But, you know, for starters, reportedly  
11 production, despite the happy talk about pit  
12 reduction at Los Alamos, reportedly it's delayed a  
13 year, reputedly largely because of COVID, although I  
14 suspect that's a convenient excuse. But perhaps  
15 more significantly is pit reduction is likely  
16 delayed for a full five years at the Savannah River  
17 site.

18 MR. FOX: One minute.

19 MR. COGHLAN: One minute?

20 MR. FOX: Yes.

21 MR. COGHLAN: I'll be able to observe  
22 that. I will submit my comments in writing. I'll  
23 have extensive written comments.

24 So I'll attempt to highly abbreviate  
25 things. Concerning the LANL SWEIS, Mr. Summers, I

1 heard you say the board is not going to address it.  
2 I urge you to keep a "keep them honest" approach.  
3 LANL and the lab is going to say all is going to be  
4 safe. You ticked off reasons that is not true.

5 Specifically, there will not be a new  
6 documented safety basis for PF-4 by the time the  
7 sitewide is out. There will not be a probalistic  
8 seismic hazard analysis. There is wide disparity  
9 between the potential dose calculations that the  
10 board comes up with, and the vanishingly small doses  
11 that NNSA come up with.

12 So to be respectful of time, I'll go ahead  
13 and stop there. Just urge the board to hold the  
14 feet of NNSA and LANL -- hold their feet to the  
15 fire. We badly need you all. You should  
16 understand, for one thing, how compromised both  
17 political and regulated leadership here is in this  
18 state, so please act accordingly, and I'll stop.

19 MR. FOX: Thank you. You can give your  
20 written statement to Tara Tadlock in the back there.

21 MR. COGHLAN: Thank you.

22 MR. FOX: Next we have Greg Mello from Los  
23 Alamos Study Group.

24 MR. MELLO: Thank you, Chairman Connery  
25 and members of the board. It's always wonderful to

1 see you. And I will submit written comments, not  
2 tonight, but this week.

3 So listening to this excellent hearing --  
4 and thank you very much for coming out here and  
5 having it -- I'm not hearing firm safety gates or  
6 standards in this review. There's -- we don't know  
7 exactly what standards LANL must meet. I'm not  
8 hearing that.

9 I heard this from another Federal agency.  
10 What defines a well-run nuclear facility? They  
11 didn't know. We know that Triad does not have a  
12 compliant document safety analysis, and we know that  
13 the one that is being written is not yet approved  
14 and will not be implemented in time for the ramp up  
15 of operations that it -- that it requires.

16 We also know that right now there's a  
17 difference of opinion between the safety board and  
18 Triad and NNSA as to whether PF-4 in particular  
19 meets DOE safety guidelines for public exposure. We  
20 don't know when or if that difference of opinion  
21 will be resolved.

22 I believe that modeling accidents  
23 involving facilities and people and extremely  
24 complex control systems and equipment is way harder  
25 than modeling nuclear weapons, let's say a primary.



1 Yet when it comes to primaries, NNSA insists on  
2 having an enormous amount of actual experimental  
3 data. They don't rely just on models. In this case  
4 they want to rely on models to obviate concrete  
5 safety improvements.

6 I think that Joyce summed it up very  
7 nicely with the phrase pencil flipping the problem.  
8 I was good at modeling once, but I would never model  
9 that.

10 I think that hearing -- there's a long  
11 list of safety improvements that have been in  
12 discussion over the last ten years, and we've often  
13 talked about that with the board, and we saw how  
14 some of these have been put -- the schedules have  
15 been push back. That was an abridged schedule of  
16 the safety improvements that have been delayed. I  
17 would like to see a comprehensive list of these  
18 proposed safety improvements.

19 I would like to see a resourced schedule  
20 from LANL and from NNSA as to when these are  
21 going -- these are going to be fully addressed. I  
22 would like the safety board to work with the  
23 authorizing commitments -- authorizing committees  
24 and appropriation committees in Congress to have  
25 them incorporate these issues in mining report

1 language, and I would like to see NNSA to put these  
2 commitments in the coming congressional budget.  
3 Then we begin to believe this is actually going to  
4 happen.

5 What we -- what I believe I heard today  
6 was quite a long talk about things that were mission  
7 critical --

8 MR. FOX: One minute.

9 MR. MELLO: -- and how to maximize the  
10 safety benefit within the envelope of the mission  
11 schedule and requirements. I think that those  
12 requirements and these discussions are taking place  
13 in a very small group of people.

14 We know that Congress is not involved in  
15 them. I've just been to the White House. I know  
16 the White House is not involved in them, so there's  
17 too few people.

18 You good folks on the other table are some  
19 of the very few, but as we know, you're not an  
20 external regulatory body, so what could we do?  
21 You're doing a fabulous job, but we need help in  
22 order to make safety as important as the so-called  
23 mission.

24 Actually, the pit production schedule is  
25 really fairly arbitrary. Los Alamos is unlikely to

1 make the schedule. As Charles Goode said, and  
2 Dr. Mason has indicated in the past, and as we have  
3 seen from FOIA documents, so it reflects, reflects  
4 the schedule, not the safety.

5 Thank you very much.

6 MR. FOX: Thank you for your statement.  
7 If you'd like to send something in writing, send it  
8 to hearing@dnfsb.gov before December 16th.

9 Next we have Cindy Wheeler from the 285  
10 Alliance.

11 AUDIENCE MEMBER: She's departed.

12 MR. FOX: Next we have John E. Wilks III  
13 from Veterans for Peace.

14 MR. WILKES: I'm John Edward Wilks, SVP  
15 for Albuquerque Veterans for Peace.

16 To the board's technical director, sir, if  
17 you're in the middle of nowhere in the southwest  
18 desert, and you have a flat tire on your car, what  
19 would you do? I give you that question because you  
20 used some car analogies. You would stop until you  
21 fixed the tire. That's exactly where we are with  
22 the NNSA at LANL. Stop until you fix your tire.

23 Okay. We have a definition problem.  
24 Legacy. We consider legacy waste from 1943 until  
25 2000, what, '16, '17.

1           The EM considers legacy from 1999 when the  
2 WIPP opened. No, before that the definition was  
3 quite different. Because NWPA was passed in 1970,  
4 EM used to go back to 1970. We say Leslie Groves  
5 deposited this stuff at the Pajarito Plateau. It  
6 needs to come out of the ground before we start  
7 generating more waste from the surplus plutonium  
8 project or the pit project, because it is poisoning  
9 our aquifer.

10           Now, in Idaho, a lab cleaned up its  
11 subsurface disposal area that was established in  
12 1952. It accepted waste from '54 to '70. It's  
13 cleaned up. Why is the waste at Los Alamos not  
14 cleaned up? The answer's simple. Because the Snake  
15 River is more important than the Rio Grande River.  
16 When the Rio Grande River is contaminated, all New  
17 Mexico, west Texas, and northern Mexico will be  
18 contaminated. Kindly make that a stipulation.

19           Dr. Mason mentioned waste is a product.  
20 Where is the waste going? I will remind you that  
21 the WIPP is a 25-year pilot program. We're in year  
22 23. Chapter 63 Veterans for Peace will do  
23 everything in its power to close that facility  
24 June 2024, period. If we have to go to state  
25 legislature, the Congress, the regulators, we made a

1 deal. 25 years. That's the deal. We want you to  
2 stick to it.

3 So kindly ask NNSA where is the waste  
4 stream going if the WIPP closes as contractually  
5 agreed to in June of 2024?

6 My next thought, I understand NNSA's up  
7 against a hard spot. The Congress passed a law.  
8 NNSA is simply trying to comply with the statutory  
9 threshold dates. I'm not berating them. I'm saying  
10 I'm sure they're trying very hard. Probably doing  
11 the best job possible, but the reality is until you  
12 clean up the plateau, kindly do whatever you have to  
13 do to make this new waste stream safe, and please  
14 clean up our backyard.

15 Thank you.

16 MR. FOX: Thank you for your statement.  
17 Next we have Joni Arends from CCNS.

18 MS. ARENDS: Good evening members of the  
19 board. My name's is Joni Arends. I'm with  
20 concerned citizens for nuclear safety. I want to  
21 thank you for your dedication and your service and  
22 for nuclear safety. I want to thank you for  
23 preparing for you and your staff preparing for this  
24 adventure to New Mexico, going to LANL, meeting with  
25 us, and to holding this hearing.

1 I am now going to direct some of my  
2 comments to the laboratory. Hi, Mr. Wyka. Good to  
3 see you again. So we're basically five years behind  
4 schedule. The last SWEIS was finished in 2008, nine  
5 years after the 1999 SWEIS. Now we are, what, 14  
6 years behind schedule or 15 years behind schedule,  
7 and the plan is to make the SWEIS, and that was to  
8 cover 15 years into the future. That's  
9 unacceptable. We haven't had any public  
10 participation on the scope of this work for five  
11 years, when we should have had it done by 2018.

12 Hand in hand is that the LANL permit,  
13 hazardous waste permit, is four years -- no, two  
14 years behind schedule, almost three years behind  
15 schedule, and a complete application has yet to be  
16 submitted to the New Mexico Environment Department.  
17 Both of those things allow for the public to make  
18 public comment, have a discussion within our  
19 communities about what's happening at LANL, and we  
20 have been ignored through these processes.

21 It's important for the laboratory. It's  
22 essential for the laboratory to step forward on both  
23 of those things and that the SWEIS include plutonium  
24 pit reduction, surplus plutonium, heat sources in  
25 the analysis.

1           The other issue that the director of the  
2 lab and the president of Triad said, that nobody  
3 cares about whether it's legacy or if it's newly  
4 generated waste. That's not true. We care that the  
5 legacy waste gets off the hill. The legacy waste  
6 that's sitting in unlined pits, trenches, and shafts  
7 and migrating to the regional drinking water  
8 aquifer.

9           It's really easy to open the back door at  
10 PF-4 and put newly generated waste into a WIPP  
11 truck. That's not what the priority is. Legacy  
12 waste is the priority, and luckily today the board  
13 said they can provide us with the information about  
14 what the shipments comprise in terms of legacy and  
15 newly generated waste so we can keep an eye on  
16 what's actually going to WIPP these days, and we are  
17 eternally grateful for that information. Thank you.

18           Also, we have requested an expanded  
19 seismic monitoring network. In 1994 there were  
20 almost 30 seismic monitors on the Pajarito Plateau.  
21 In 1984, that number was reduced to 11. We need to  
22 boost the seismic network, and that data needs to be  
23 available publicly. Right now they're downloading  
24 data off of the monitors, and then they're having to  
25 manually put it into a database. That's

1 unacceptable. We need to have a state-of-the-art  
2 seismic monitoring.

3 MR. FOX: One minute.

4 MS. ARENDS: Thank you. And finally, we  
5 need to be talking about a transition plan to come  
6 into compliance with the treaty on the prohibition  
7 of nuclear weapons. CCNS acknowledges that the US  
8 has not signed or ratified the treaty, but the world  
9 is moving towards, in very strong steps, for the  
10 prohibition of nuclear weapons.

11 In terms of economics of northern New  
12 Mexico, we need a transition plan for when the  
13 treaty -- when the US signs the treaty, and given  
14 the situation in Ukraine and NATO, and all of those  
15 things that I don't completely understand, I do  
16 understand that we need to be prepared for when the  
17 treaty -- when the US signs and ratifies the treaty,  
18 and I ask for your leadership to think about that  
19 transition plan, and possibly through Mr. Mikolanis'  
20 strategic plan we can talk about that with regard to  
21 moving forward.

22 MR. FOX: Time.

23 MS. ARENDS: Thank you. Board members,  
24 thank you again, and staff thank you, and  
25 Mr. Roscetti, I'm so grateful for your analysis this



1 evening making the presentations.

2 MR. FOX: Thank you for your statement.  
3 Next we have Janet Greenwald from CORD, Dixon, New  
4 Mexico.

5 MS. GREENWALD: Hi, I wanted to thank the  
6 safety board for coming here and for all their  
7 efforts to make LANL a safer facility and also for  
8 staying to listen to public comment. Appreciate  
9 that very much. Also the people from LANL.

10 I'm Janet Greenwald. I'm the coordinator  
11 for citizens opposed to radioactive dumping, which  
12 is a very ancient, small grassroots group, and I  
13 also am a resident of Dixon, New Mexico, which is a  
14 community which is directly downwind, according to  
15 prevailing winds, from Los Alamos.

16 We were contaminated during the Cerro  
17 Grande Fire, according to the New Mexico Environment  
18 Department. There was cobalt in our plums and  
19 cesium in our broccoli. It was below regulatory  
20 concern, because the average American eats, like,  
21 1.4 plums a week and so forth. In rural areas, when  
22 the broccoli comes in, you and your children eat a  
23 lot of broccoli. When your plums come in, it's the  
24 same.

25 So after the Cerro Grande Fire, a lot of

1 baby horses died, and baby goats. Chickens stopped  
2 laying eggs. We lost a grandchild in utero, and  
3 there was a whole bunch of cancer in our communities  
4 and in the communities just above us, which are  
5 even -- because of elevation, even more directly in  
6 line with Los Alamos.

7 I know from working with the workers from  
8 Rocky Flats that nerve problems are also a part of  
9 being contaminated, and now I'm seeing in our  
10 community more of those. A dear member of our  
11 family who was born and raised in Dixon is now  
12 suffering from extreme neuralgia. My closest  
13 neighbor is dying of MS.

14 There have never been any health studies  
15 in our area. There are no evacuation plans, and  
16 even though Los Alamos has a terrible safety record,  
17 they were chosen to do two dangerous projects, and  
18 that is build plutonium pits and transform metal  
19 plutonium pits into powder as part of the surplus  
20 plutonium project. No one ever even looked at the  
21 downwind communities. No one ever considered that  
22 we were already contaminated, that we're mostly  
23 Hispanic and indigenous people of low income.

24 You know, environmental justice is such a  
25 beautiful word and concept, but we know nothing of

1 it in the downwind communities from Los Alamos.

2 Another thing that has happened is that  
3 LANL has contaminated a lot of its employees. I  
4 know about this because --

5 MR. FOX: One minute.

6 MS. GREENWALD: -- until the leader of the  
7 group died, there was a support group at the Dixon  
8 Library every Saturday morning for contaminated  
9 Los Alamos workers.

10 I feel like now that I've learned that we  
11 can't comment on the expanded plutonium production  
12 at Los Alamos, I don't know how we can comment on  
13 the surplus plutonium transformation that's supposed  
14 to go there -- on there. It -- it feels even more  
15 than ever that we have been forgotten. No one even  
16 thinks about us.

17 Thanks for letting me speak.

18 MR. FOX: Thank you for your statement.  
19 Are there any other members of the public who wish  
20 to provide comments?

21 Seeing none, I want to thank everybody who  
22 provided comments this evening and turn it back over  
23 to the chair.

24 Ms. Connery.

25 CHAIRPERSON CONNERY: Thank you to the

1 public for your comments. I know it's difficult to  
2 get up and speak publicly, and we appreciate that  
3 you all came and spoke from your heart.

4 I'm going to turn to my fellow board  
5 members for their closing statements, and I will  
6 wrap it up at the end. So we'll start with  
7 Vice-Chair Summers.

8 MR. SUMMERS: Thanks, Ms. Connery. First  
9 of all, I'd like to thank our panelists and thank  
10 all of you. I'm grateful to have been with all of  
11 you today and appreciate your participation.

12 PF-4 is a national security treasure and a  
13 keystone to our nation's nuclear deterrence. DOE  
14 and NNSA, our New Mexico elected officials, and the  
15 very important concerned citizens of New Mexico and  
16 the American public have made some progress together  
17 in addressing the safety concerns at LANL's PF-4.

18 Working together and in partnership, I  
19 again am hopeful that more progress is ahead and  
20 will be made on behalf of our great nation and the  
21 American citizens of the United States. Thank you.

22 CHAIRPERSON CONNERY: Thank you,  
23 Mr. Summers.

24 Ms. Roberson.

25 MS. ROBERSON: Thank you, Chair Connery.

1 I really appreciate the members of the  
2 public in attendance here in the room and virtually,  
3 and I appreciate those that provided input tonight.  
4 Your input and insights are very welcomed.

5 I thank you, Administrator Hruby, Lab  
6 Director Dr. Mason, Field Office Manager Ted Wyka,  
7 and Mr. McConnell for their attendance. I  
8 appreciate our exchanges tonight and the information  
9 you shared and the transparency you provided.

10 I know as we reflect on the totality of  
11 this hearing, there will probably be follow-ups as a  
12 result of the hearing, but I appreciate the  
13 exchanges tonight. Thank you.

14 CHAIRPERSON CONNERY: Thank you,  
15 Ms. Roberson. I know I'm between you and hopefully  
16 bed, but I do want to add to the thank yous.

17 First of all, I want to thank the Santa Fe  
18 Community Convention Center for allowing us to use  
19 the space. Great space. We've held hearings here  
20 before, and it's very conducive to what it is we're  
21 doing. I understand we're in Santa Fe, not  
22 Los Alamos, but this allows for the greatest  
23 participation.

24 I want to thank Alliance AV for the online  
25 streaming, and because of their efforts, this

1 will -- this hearing will be recorded, and you'll be  
2 able to go back and listen to it again should so  
3 desire.

4 I would like to thank Robin Brazil, our  
5 court reporter of Bean & Associates, for her  
6 patience in dealing with how quickly I speak and for  
7 taking such good care of us.

8 I would like to add to the thanks  
9 Administrator Hruby, Mr. McConnell, Dr. Mason, and  
10 Mr. Wyka for attending tonight and answering our  
11 questions, and of course audience and community  
12 members. It's always great to have an educated  
13 public, and you are certainly that. I hope we  
14 actually contributed to that education tonight, and  
15 we hope to continue to do so in the future.

16 We sound really smart when we're up here,  
17 but that is a credit to our staff and all the people  
18 who we have with us to prepare for this hearing,  
19 from everything from the logistics to the testimony  
20 to the resident inspectors, and those of you who  
21 helped with the care and feeding of the board, and  
22 of course our general counsel. We're eternally  
23 grateful to be able to do this.

24 So I want to wrap, because we touched on a  
25 lot of issues tonight. I want to make sure you

1 understand that speaking for myself, and I don't  
2 want to speak for my fellow board members, we do  
3 actually have a lot of confidence in the Triad  
4 management and NNSA field office and thank them for  
5 the work they're doing. We have confidence that  
6 they are actually trying to keep safety in mind. As  
7 you've noted, they have competing pressures that we  
8 as a safety organization don't have to deal with.  
9 Their commitment to safety is obvious, and they've  
10 made tremendous strides in terms of waste  
11 management. We saw the housekeeping at the lab when  
12 we walked through the other day.

13 They are obviously focused to be able to  
14 keep that in check. There is, as you heard, a  
15 concerted effort on discipline operations to make  
16 sure that the accidents are precluded and a lot of  
17 work to provide solutions to challenges.

18 The reason we are concerned is that this  
19 is a 44-year-old facility that houses a lot of  
20 activities, pit production, heat-source plutonium  
21 activities for NNSA, for NASA and others, as well as  
22 we heard public comments about the surplus plutonium  
23 disposition project. That's a lot of material in a  
24 small old facility with a lot of new workers. So  
25 the challenges that we are concerned about is to

1 look at this holistically, is the system that they  
2 have sufficient, is it going to withstand the  
3 earthquake, and how is that tied into the leak path  
4 factor. Can the workers be evacuated in time to  
5 preclude the materials from escaping from the  
6 doorway in the event of an earthquake, which we know  
7 17 of the emergency lights are actually rated to  
8 that design basis earthquake. We know there are  
9 items in the hallway that could tumble, emergency  
10 operators that are going to go into the building to  
11 perform their duties as well.

12 So that's how all of these things tie  
13 together, and we are grateful for the fire  
14 suppression system and the work done there. We  
15 believe that's going to help mitigate those  
16 consequences. We want to make sure we're doing  
17 everything possible to protect the workers and the  
18 public in that case.

19 The same is true with the issues to be  
20 raised with the field offices. That is the nature  
21 of the discussions we had this evening. We  
22 appreciate the transparency with which our  
23 colleagues answered the questions.

24 The record for the hearing will be open  
25 until December 16th for those of you who want to



1 submit more information. There are a number of  
2 items that appropriately our colleagues said they  
3 would submit for the record so they would provide  
4 answers that were accurate. We expect to see more  
5 of that information being made publicly available to  
6 you as we close the record for the hearing on the  
7 16th of December.

8           Again, thank you for all of your  
9 hospitality, for those of you who welcomed us to New  
10 Mexico. Thank you for the opportunity to walk  
11 through the facilities yesterday and meet with your  
12 tremendous staff and workers and workforce. We can  
13 only hope for better things to come. Thank you  
14 everybody.

15           With that, we are adjourned.

16           (Hearing concluded at 8:45 p.m. MST)

17  
18  
19  
20  
21  
22  
23  
24  
25

1 STATE OF NEW MEXICO


2 SS

3 COUNTY OF BERNALILLO

4  
5 REPORTER'S CERTIFICATE

6 I, ROBIN A. BRAZIL, New Mexico Certified  
7 Shorthand Reporter, DO HEREBY CERTIFY that I did  
8 report in stenographic shorthand the proceedings set  
9 forth herein, and the foregoing is a true and correct  
10 transcription of proceedings.

11 I FURTHER CERTIFY that I am neither employed by  
12 nor related to any of the parties or attorneys in  
13 this case, and that I have no interest whatsoever in  
14 the final disposition of this case in any court.

15 

16 Robin A. Brazil, RPR  
17 BEAN & ASSOCIATES, INC.  
18 Certified Court Reporter, NM #154  
License expires: 12.31.23

19 (7343N) RAB  
Date taken: November 16, 2022  
20 Proofread by: AB  
21  
22  
23  
24  
25

SANTA FE OFFICE  
119 East Marcy, Suite 110  
Santa Fe, NM 87501  
(505) 989-4949  
FAX (505) 843-9492



MAIN OFFICE  
201 Third NW, Suite 1630  
Albuquerque, NM 87102  
(505) 843-9494  
FAX (505) 843-9492  
1-800-669-9492  
e-mail: info@litsupport.com